

APPEARANCES: (Cont'd.)

PETER BALASH
Senior Economist, Systems Engineering and Analysis
U.S. Dept. of Energy/NETL

SHANNON BANAGA
Director, Federal Affairs
TECO Energy

BOB BIBB
Chairman & CEO
Bibb Engineering

JACQUELINE BIRD
JFBird Enterprises

JEFFREY BOBECK
Policy Lead, Americas Region
Global Carbon Capture Institute

GRACE BOCHENEK
Director
National Energy Technology Laboratory

RICK BOYD
Director of Generation Projects
Dominion Energy

LISA JN BRADLEY
Principal Toxicologist
Haley & Aldrich

BRENDA BRICKHOUSE
Vice President, Environment and Energy Policy
TVA

CHARLES BULLINGER
Senior Principle Engineer
Great River Energy

HENRY CIALONE
President & CEO
EWI

KIPP CODDINGTON
Director, Energy Policy & Economics
University of Wyoming

APPEARANCES: (Cont'd.)

LELAND COGLIANI
Senior Consultant
Lewis Burke Associates

BRAD CRABTREE
Vice President, Fossil Energy
Great Plains Institute

JOE CRAFT
President & CEO
Alliance Resource Partners, L.P.

CHAD CROWLEY
Fellow
U.S. Dept. of Energy, Loan Programs

JARAD DANIELS
Acting Deputy Assistant Secretary for
Clean Coal and Carbon Management
U.S. Dept. of Energy

TUCKER DAVIS
Special Assistant to the Secretary
U.S. Dept. of Interior

DAVID DENTON
Senior Director, Business Development
RTI International

JULIA D'HEMECOURT
NCC Legal Counsel
Hunton & Williams

KATHERINE DOMBROWSKI
Manager, Technology Development
AECOM

JOHN DUDDY
Director, Heavy Oil and Coal Technology
Axens North America, Inc.

MICHAEL DURHAM
CEO
Soap Creek Energy

FREDERICK EAMES
Partner
Hunton & Williams

APPEARANCES: (Cont'd.)

DAVID ELAM
Vice President-Project
TRC

BILL ELLIOTT
Operations Manager
Bechtel Infrastructure & Power Corp.

ANNE ELLIS
CEO
Anne Ellis Global

ELLEN EWART
Vice President
Coronado Coal

ALEXANDER FASSBENDER
CEO
EcoVia Corporation

ROBERT FINLEY
Illinois Geological Survey (Retired)

DAVID FLANNERY
Attorney
Steptoe & Johnson PLLC

RAJ GAIKWAD
Vice President
Sargent & Lundy Engineers

THOMAS GALE
Director of Technology Development
Novinda Holdings, Inc.

MAY GAO
Administrator
Powerchina America Development Ltd.

JANET GELLICI
CEO
National Coal Council

SHEILA GLESMANN
SVP, Environmental and External Affairs
ADA Carbon Solutions

APPEARANCES: (Cont'd.)

DANNY GRAY
Executive Vice President-Government &
Environmental Affairs
Charah, LLC

JOHN HARJU
Vice President for Strategic Partnerships
Energy & Environmental Research Center

CLARK HARRISON
Sr. Manager/Business Development
CH2M

ABBY HARVEY
Reporter
Power Mag

ANDREW HLASKO
Program Manager for CCS Major
Demonstration Program
U.S. Dept. of Energy

WILLIAM HOBACK
Energy Project Advisor
Southern Illinois University,
Advanced Coal & Energy Research Center

DOUG HOERR
Vice President
Caterpillar Inc.

ALEX HOFMANN
Director, Energy & Environmental Services
American Public Power Association

DOUGLAS HOLLETT
Acting Assistant Secretary for Fossil Energy
U.S. Dept. of Energy

COLLEEN HOWE
Reporter
Argus Media

UMAIR IRFAN
Reporter
E&E News

APPEARANCES: (Cont'd.)

MARTY IRWIN
Senior Technology Advisor
PQR, Energy

SUSAN JACKSON
Manager, CCP & Waste
Santee Cooper

DENNIS JAMES
Director-New Technology
The North American Coal Corporation

KIM JOHNSON
Chief Executive Officer
eBartonLLC

AYAKA JONES
International Technical Advisor
U.S. Dept. of Energy,
Clean Coal and Carbon Management

RICHARD KELEMAN
Controller
New Steele International, Inc.

JOHN KENNEDY
Sr. Vice President & General Manager,
Plant Operations PJM
Dynergy

ALISON KERESTER
Executive Director
Gasification and Syngas Technologies Council

JAI WOH KIM
Program Manager
U.S. Dept. of Energy

JORDAN KISLEAR
Director Government Affairs and Analysis,
Office of Clean Coal
U.S. Dept. of Energy

ANGELOS KOKKINOS
Director Office of Advanced Technology Systems
U.S. Dept. of Energy

APPEARANCES: (Cont'd.)

HOLLY KRUTKA
Vice President Coal Generation
and Emissions Technology
Peabody Energy

AMISHI KUMAR
STP Fellow
U.S. Dept. of Energy

VELLO KUUSKRAA
President
Advanced Resources International, Inc.

ROXANNE LAIRD
Director, CSS & Renewable/DG R&D
Southern Company National Carbon Capture Center

DAVID LAWSON
VP Coal
Norfolk Southern Corp.

JOSHUA LEARN
Coal Reporter
S&P Global

ANTHONY LEO
Vice President of Applications and Advanced
Technology Development
FuelCell Energy

RICHARD LOPRIORE
Energy Executive Consultant
Ferreira Construction

DOUGLAS MATHENEY
Special Advisor to the Secretary in Fossil Energy
U.S. Dept. of Energy

JIM MCDONNELL
COO
Avalon Energy Services, LLC

CHARLIE MCNEIL
Chairman & CEO
NexGEN Resources

APPEARANCES: (Cont'd.)

EMILY MEDINE
Principal
Energy Ventures Analysis, Inc.

JEFF MILLER
Producer
Mills James

RAFIC MINKARA
Vice President
Headwaters

LAURA MOJONNIER
Reporter
Argus Media

BETSY MONSEU
CEO
American Coal Council

JARED MOORE
Principal
Meridian Energy Policy

MARK MOREY
Senior Market Intelligence Manager
GE Power Services

RON MUNSON
Global Lead Carbon Capture
Global CCS Institute

RAM NARULA
President
NE & EC/EIO

STEPHEN NELSON
Chief Operating Officer
Longview Power LLC

MARY EILEEN O'KEEFE
President
Athena Global Energy Solutions

JERRY OLIVER
Principal
Global Tech Management Services

APPEARANCES: (Cont'd.)

FREDERICK PALMER
Senior Fellow-Energy and Climate
The Heartland Institute

ROBERT PUISSANT
SVP
Fuel Tech Inc.

HEATHER QUEDENFELD
Associate Director, Coal Technology
Development & Integrations Center
NETL

MASSOOD RAMEZAN
Senior Technical Advisor
KeyLogic Systems, Inc.

RACHEL ROGIER
Federal Affairs Representative
Arch Coal Inc.

DANEIL ROLING
President & CEO
Novadx Ventures Corp.

CHARLENE RUSSELL
Senior Director-Commercial Development
Occidental Petroleum

TODD SAVAGE
Executive Vice President
Savage Services Corporation

MARK SHOENFIELD
Senior Vice President of Operations and
General Counsel
Jupiter Oxygen Corporation

CONSTANCE SENIOR
Vice President of Technology
ADA-ES, Inc.

FADI SHADID
Industry Economist
Energy Information Administration (EIA)

APPEARANCES: (Cont'd.)

DECK SLONE
Senior Vice President, Strategy and Public Policy
Arch Coal Inc.

SCOTT STALLARD
Black & Veatch

SKIP STEPHENS
Washington Counsel
Joy Global

AARON STOVER
Director of Development, Eastern Region
The Heartland Institute

VICKY SULLIVAN
Associate Vice President Policy Development
ACCCE

AUDREY TAUCHER
Taucher International

RICHARD SCOTT TEEL
Commercial Operations Vice President
Southern Company Generation

JOHN THOMPSON
Clean Air Task Force

PAMELA TOMSKI
SAS Institute Inc.

MATT USHER
Director-New Technology Development
AEP

OSAMU USUI
Deputy General Manager, Washington Office
Mitsubishi Heavy Industries America

SARAH WADE
Principal
WADE LLC

DAMAN WALIA
President/CEO
ARCTECH, Inc.

APPEARANCES: (Cont'd.)

KATHY WALTON
Principal
The Basic Industries Group, LLC

DOUG WETJEN
Director Coal Resources
WEC Energy Group

KEMAL WILLIAMSON
President-Americas
Peabody

STEVEN WINBERG
Program Manager
Battelle Memorial Institute

JON WOOD
President
CoalBlue Project

GREG WORKMAN
Director, Fuels
Dominion Generation

ROBERT WRIGHT
Principal
The Wright Group

I N D E X

	<u>PAGE</u>
Welcome	13
By: Michael D. Durham, Chair, NCC	
Antitrust Advisory	16
By: Julia d'Hemecourt, NCC Legal Counsel, Hunton & Williams	
<u>Keynote Presentations:</u>	
U.S. Department of Energy Keynote	17
By: The Honorable Rick Perry, Secretary of Energy, U.S. Department of Energy	
Introduction by Michael D. Durham, NCC Chair	16
Stephen Nelson, Chief Operation Officer, Longview Power LLC	33
Introduction by Greg Workman, NCC Vice Chair	32
<u>Industry Presentations:</u>	
Moderator: Janet Gellici, CEO, NCC	57
Anthony Leo, Vice President of Applications & Advanced Technology Development FuelCell Energy	58
David Denton, Senior Director, Business Development Energy, RTI International	76
Jared Moore, Ph.D., Principal, Meridian Energy	97
<u>National Coal Council Business Reports:</u>	
Finance Committee	125
By: Gregory Workman, NCC Vice Chair & Finance Committee Chair	
Coal Policy Committee	129
By: Deck Slone, NCC Coal Policy Committee Chair	
Communications Committee	133
By: Lisa Bradley, Ph.D., DABT, NCC Communications Chair	
Governance Issues	135
By: Janet Gellici, CEO, NCC	

P R O C E E D I N G S

(8:38 a.m.)

1
2
3 MR. DURHAM: Good morning. Let's get
4 started. Well, good morning, ladies and gentlemen.
5 My name is Mike Durham, and I'm chairman of the
6 National Coal Council. The Spring 2017 meeting of the
7 National Coal Council is hereby called to order.

8 This meeting, we are fortunate to have many
9 representatives of the Department of Energy in
10 attendance. I'd like to acknowledge Doug Hollett,
11 Acting Secretary for fossil energy. We'll hear from
12 Mr. Hollett in a few moments in his keynote address.

13 MR. HOLLETT: No.

14 MR. DURHAM: No? Okay. You don't have to
15 speak. That's right, sorry.

16 (Laughter.)

17 MR. DURHAM: Dr. Grace Bochenek, Director of
18 NETL; Doug Metheney, special advisor to the Secretary
19 of Fossil Energy; Jarad Daniels, Acting Deputy
20 Assistant Secretary for Clean Coal and Carbon
21 Management at DOE; and Jordan Kislear, Director of
22 Government Affairs and Analysis in the Office of Clean
23 Coal, who is serving today as his official federal
24 designated officer. So thank you, Jordan.

25 I'd like to ask all of the representatives from

1 the Department of Energy and the National Energy
2 Technology Lab to please stand so we can extend our
3 warm NCC welcome to you.

4 (Applause.)

5 MR. DURHAM: We have some exceptional
6 speakers on hand today, following Secretary Perry's
7 keynote address. We'll hear from Steve Nelson, chief
8 operating officer of the Longview Power, who will
9 provide an overview of Longview's state-of-the-art
10 power plant.

11 We've organized our industry presentations
12 around the theme of leading-edge coal technology
13 development. We'll hear from Tony Leo, VP of
14 applications and advanced technology development with
15 FuelCell Energy. Tony will provide us with an
16 overview of fuel cells, a carbon-capture pilot plant,
17 a joint initiative with ExxonMobil.

18 We'll then hear from David Denton, director
19 of business development at RTI International, who will
20 provide a roundup of the various advance technologies
21 for CO₂ capture and utilization for both power and
22 industrial applications.

23 And we'll conclude with a presentation with Jared
24 Moore with Meridian Energy, who will provide an
25 overview of the new thermal hydrogen technology

1 concept. We'll then conclude our meeting with council
2 business.

3 I'll note that this meeting is being held in
4 accordance with the Federal Advisory Committee Act and
5 the regulations that govern that act. Our meeting is
6 open to the public. I would like to welcome guests
7 from the public who have joined us today. An
8 opportunity will be provided for guests to make
9 comments at the end of the meeting.

10 A verbatim transcript of this meeting is
11 being made. Therefore, it is important that you use
12 the microphones when you speak, and that you identify
13 your name and affiliation.

14 Council members have been provided with a
15 copy of the agenda today. I'd appreciate having a
16 motion for the adoption of the agenda.

17 MULTIPLE VOICES: So moved.

18 MR. DURHAM: Second?

19 MALE VOICE: Second.

20 MR. DURHAM: Thank you. All in favor?

21 (Chorus of ayes.)

22 MR. DURHAM: Opposed?

23 (No response.)

24 MR. DURHAM: Thank you. I'd now like to
25 call on NCC Legal Counsel Julia d'Hemecourt of

1 Hunton & Williams to provide us with our advisory.

2 MS. d'HEMECOURT: Hi, good morning. The
3 National Coal Council is a federal advisory committee
4 to the Department of Energy. Membership in the
5 organization confers no immunity from federal or state
6 antitrust laws. As you probably are aware, the NCC
7 has a set of antitrust guidelines. If you would like
8 a copy, one can be sent to you.

9 During this meeting, we will abide by these
10 guidelines. If you feel we've strayed from them,
11 please interrupt, and we'll make a determination.

12 Thank you.

13 MR. DURHAM: Thank you. It is now my
14 pleasure to introduce our keynote presenter, the
15 Honorable Rick Perry, Secretary of Energy. We've
16 included his detailed bio in your packet, but just to
17 highlight a lifetime of service to the country,
18 starting with service in the Air Force, following his
19 college years, to service throughout the politics in
20 Texas, where he's the longest-serving governor in
21 history, and now continues to serve as Secretary of
22 Energy.

23 So please join me in welcoming Secretary
24 Perry.

25 (Applause.)

1 SECRETARY PERRY: Howdy.

2 It's a great privilege to be here with you
3 today. Mike, it is an honor to catch up and talk
4 about old times. We went to college together. He
5 just looks a lot younger than I am.

6 Not only does he look younger, but he's
7 always, kind of one of those interesting things -- a
8 very innovative guy, and innovative in the sense of
9 anyone who would name your energy company Soap Creek
10 Energy. I'm still waiting for him to explain that one
11 to me, so -- how he came up with that.

12 But he's also an interesting fellow in the
13 sense of, he went two years -- he was born in Florida,
14 and then his folks, parents, grandparents, had Texas
15 ties, so he came back and went to school at the
16 beloved Texas A&M for two years. And as he said, they
17 taught me everything that they had to teach me in
18 those two years, and I could leave and go on to Penn
19 State, where he got a Naval ROTC scholarship.

20 So anyway, we -- the old saying is that you
21 can leave College Station, but it will never leave
22 you. Kind of sounds like a country song, doesn't it.

23 (Laughter.)

24 SECRETARY PERRY: And do that, so -- anyway,
25 it's a privilege to be here today as President Trump's

1 choice to be the Secretary of Energy. It was a great
2 privilege for me to continue in my public service.

3 I didn't come here to do inconsequential
4 things, and I didn't leave our little piece of
5 property there in Roundtop, Texas, you know, just to
6 punch a clock and to serve out a few years in a row.
7 I came to serve a president with a clear and a bold
8 vision for this country. I came to serve my country
9 one more time.

10 And you might say, boy, there is nothing --
11 there has been nothing timid about this first five or
12 six weeks on the job, that's for sure. You know, I
13 think it took us like five weeks to get the nomination
14 and the approval of that process and be confirmed.
15 But, it has been quite a ride. It's a most intriguing
16 time.

17 You know, when you think about what has
18 happened during the last five or six week period of
19 time, you've had a president who signed an order
20 saying that for every regulation added, two has to be
21 repealed. He said that we're going to stop these
22 extremist political agendas from highjacking America's
23 energy needs. And one of the ways he sent that
24 message was by approving the Keystone Pipeline and the
25 Dakota Access Pipeline.

1 Then he took another important step. The
2 last eight years, we saw a policy driven by political
3 agendas. The problem with some of my friends on the
4 other side is, it's not their utopian views -- well.
5 It's more so how, that they legislate and regulate in
6 ways that are detrimental to the overall well-being of
7 the citizens of this country.

8 You know, they even came up with some rather
9 nice-sounding names. Clean Power Plan. Who can't be
10 for that, right? Affordable Care Act. Kind of like,
11 you know, their marketing people work overtime.
12 That's all I can figure out, is during the last eight
13 years they had a rather fascinating group of people
14 that were coming up with some cool names.

15 But what it did had the potential to be
16 devastating to a lot of people in this country. It
17 prioritized carbon reductions at the expense of the
18 American worker. And Americans responded. So with
19 the stroke of a pen, this president began dismantling
20 the Left's war on coal. But there is a lot more work
21 to do. There is work to do in crafting smart, pro-
22 growth policies, like we did in Texas.

23 I share with people on a regular basis,
24 Mike, that the story over that decade-plus that I had
25 the privilege to serve as the governor of Texas, that

1 we put into place policies that were thoughtful, that
2 were innovative, working with the legislature, working
3 with the private sector.

4 Texas is the 12th largest economy in the
5 world. I mean, if we were a standalone country, which
6 I remind people on a regular basis that we were one
7 time.

8 (Laughter.)

9 SECRETARY PERRY: You know, we'd be the same
10 size, basically, as Russia. And the impact that we
11 have is global. And when, people watch and see what
12 we do.

13 So tax policy, regulatory policies, legal
14 policies, those matter. They affect people's lives.
15 And we created this climate where people came from all
16 over the country, literally from other places in the
17 world, to live there because they knew that they could
18 risk their capital and have a chance to have a return
19 on their investment.

20 It's not rocket science. I mean, that's how
21 people respond. Capital goes to where it's welcome.
22 And we saw this extraordinary growth, grew faster than
23 any other state in the nation during that 12-, 14-year
24 period of time, added some 4-1/2 million people to the
25 state, created more jobs.

1 There was one period of time in that three-
2 or four-year period of time that Texas created more
3 jobs than the rest of the country combined. Four and
4 a half million people, that's a lot of pickup trucks
5 on the highways, non-point-source pollution.

6 There is a petrochemical refining capacity
7 along that Gulf Coast that's as large as anywhere in
8 the world. And by the way, that happens to be in a
9 latitude that's rather conducive for ozone production,
10 right?

11 As conventional wisdom would have said, we
12 did a great job of creating this environment where
13 people can come and risk their capital, and they did.
14 But you played hell with the environment. The air,
15 obviously, all of that petrochemical, all of those
16 vehicles that were added to the road, all of that
17 manufacturing growth that occurred.

18 But here is the fact of the matter. During
19 that period of time, nitrogen oxide levels went down
20 by 60 percent. SO₂ went down by 50 percent. Total
21 carbon emissions down by almost 20 percent.

22 I ask my friends who may have a different
23 outlook about what the policy should be in this
24 country, wasn't that our goal? Wasn't that what we
25 set out as a people to do, to grow economically, to

1 make Americans' lives better, and to take care of our
2 environment?

3 See, the point is you can do these together.
4 And I think that's the colliding world view, if you
5 will, between the last administration and the current
6 administration. Donald Trump truly believes that
7 we're going to have, and we can have, economic growth
8 and to take care of our environment.

9 There are two roads to clean power. Our
10 predecessors chose the road of regulation. They
11 attempted to dismantle the entire industry and destroy
12 jobs according to their very myopic view of how the
13 world should be, instead of how it is.

14 The other road is to recognize the abundance
15 of the resources that we have, the technologies that
16 make us better at how we produce and use fuels. The
17 Trump administration is for using all of the resources
18 to make America safer, to make energy more affordable,
19 make our air, our land, and our water cleaner. I'm
20 proud to serve with a president who espouses an all-
21 of-the-above energy policy.

22 I recall vividly sitting across the table
23 from then President-elect Trump. Interesting, it was
24 the first time I had ever interviewed for a job. It
25 was really -- I'm 66 years old, interviewing for a job

1 for the first time in my life.

2 And he leans across the table, and he said,
3 "Perry," he said, "here is what I want you to do. I
4 want you to do for American energy what you did for
5 Texas." And I told him, I said, "I got my marching
6 orders, sir."

7 The good news is he repeated that on
8 national television the other day, so you know I'm not
9 just making that up.

10 (Laughter.)

11 SECRETARY PERRY: And in Texas, that's
12 exactly what we did. That's the reason we saw
13 those -- both economic progress and the progress on
14 cleaning up the air. Texas cleaned up its air more
15 than any other state in the nation during that period
16 of time. We showed it's possible to lead the nation
17 in oil and gas production, and in wind power as well.
18 We truly had that all-of-the-above.

19 Wind production was practically nonexistent
20 when I took over as governor in December of 2000. Now
21 Texas produces more wind power than all but five other
22 countries. We recognized that we had a resource, and
23 we created a governance structure around it so that we
24 could use it without sacrificing the reliability our
25 industries and citizens rely upon.

1 I just saw a recent example of another
2 technology that's helping utilize our natural
3 resources more wisely. We celebrated a ribbon-cutting
4 down, just outside of Houston this last week at the
5 world's largest post-combustion carbon capture system.
6 And it had begun its commercial operation a couple of
7 months ago. It's the PetraNova facility, Richmond,
8 Texas, by that side of Houston.

9 Anyway, the project, it's designed to
10 capture 1.6 million tons of CO₂ a year from an
11 existing coal-fired power plant. That CO₂ is then
12 used for enhanced oil field recovery in a nearby
13 field, where it is expected to boost the production
14 from around 300 barrels a day to up to 15,000 barrels
15 a day. Pretty good return on the investment, I would
16 say.

17 The Petra Nova project is showing that CCS
18 can not only make coal plants cleaner, but also can
19 provide a commercially viable byproduct, in this case,
20 the CO₂ for enhanced oil recovery. That is a great
21 example of America's approach to energy. We have more
22 energy resources. We're better at developing it.
23 We're leaders in efforts to make the environment
24 cleaner. I thought that was our goal. And we can do
25 it without sacrificing our economy.

1 That's why on Friday I asked the Department
2 of Energy to undertake a critical review of regulatory
3 burdens placed on it by the previous administration on
4 baseload generators. Baseload power is critical to a
5 well-functioning grid. Reliable electricity is a
6 critical economic driver.

7 One of the things I've learned, or I knew
8 already instinctively, but I got to see in practice,
9 is that people will invest when they feel comfortable
10 that there is going to be stability and predictability
11 in a regulatory world. You change the rules halfway
12 through the game, they're not going to invest.

13 Give them predictability on the tax side, on
14 the regulatory side, on the legal side. Make sure
15 there is a skilled workforce in place. Those are the
16 four things. If you will do those, they will come.
17 They will invest.

18 It's very true on the grid, the stability,
19 the predictability that that baseload is going to be
20 there. Over the last few years, grid experts have
21 expressed concern about the erosion of the critical
22 baseload resources, specifically how it's dispatched
23 and compensated.

24 So we're also experimenting, or I should say
25 not experimenting. Well, yeah, hell, I guess we were

1 experimenting, if you want to know the truth of the
2 matter, over the last eight years. But that
3 experimenting also gave us an experience. And the
4 experience is that we're seeing this decreased
5 diversity in our nation's electric generation mix.

6 These politically-driven policies, they're
7 driven primarily by this hostility to coal. They
8 threaten the reliability and the stability of the
9 greatest electric grid in the world.

10 As I said earlier in my remarks, I wasn't
11 interested in coming to Washington, D.C. to
12 rubberstamp some previous administration's policies
13 that undermine grid security, jobs in this country, or
14 our underlying economy.

15 And I have directed my team to develop a
16 study that will explore three critical issues.

17 The evolution of wholesale electricity
18 markets, including the extent to which federal policy
19 intervention and the changing electric fuel mix
20 challenge our grid reliability.

21 So whether wholesale and capacity markets
22 are adequately compensating attributes such as onsite
23 fuel supply and other factors that strengthen the grid
24 resilience. And the extent to which regulatory
25 burdens, as well as mandates and tax and subsidy

1 policies, force the premature retirement of baseload
2 generation plants.

3 So here is the bottom line. We will not
4 sacrifice grid security to appease environmental
5 extremists, nor will we continue to distort the energy
6 marketplace for handpicked favorites. We will use
7 America's abundant resources to ensure grid
8 reliability.

9 Now, just because we're in the process of
10 ending the war on coal doesn't mean the coal industry
11 isn't without its challenges. There was a war being
12 waged on coal. And while that was happening,
13 technology was making some pretty substantial advances
14 all around you.

15 We talked about shell exploration and how it
16 literally is now tipping the balance of energy power.
17 The effects of innovation are many, including that
18 while we started building -- you think about this.
19 Ten years ago, there were LNG exports facilities being
20 built in this country. We're now reversing those
21 terminals to sell American LNG overseas.

22 Mike, I'm thinking -- I think it was in
23 2005, I was at an event of southern governors, and
24 there was an individual giving a speech on peak oil,
25 that we had found all of the oil there was in the

1 world. And, you know, he wasn't given advice about
2 what the alternative was going to be, but it was like,
3 we're done. You all are going to have to figure out
4 what the alternative --

5 Well, it's one of the things that I always
6 temper my thinking with, you know, is sometimes they
7 don't always get it right.

8 The world has changed. And coal has to
9 change as well. As you know, DOE is working to
10 develop innovative and cost-effective technologies
11 that not only can make coal cleaner and more
12 efficient, but it can help support economic growth,
13 energy security, American leadership in the global
14 technology market.

15 Some of the work is being done at our
16 national labs. There are 17 of those labs spread out
17 across this country. They are an extraordinary asset
18 to our country. They are driving cutting-edge
19 research in this amazing array of scientific fields.
20 This research includes new plant designs,
21 efficiencies, materials, combustion.

22 It also includes advanced energy
23 technologies and systems that improve the efficiencies
24 through innovation to provide this rich set of options
25 to address our energy challenges and to modernize our

1 coal plant fleet. Other potentials for the captured
2 carbon include feedstock to produce fuels, polymers,
3 fertilizers. And we're working on all of that.

4 Let me mention one more benefit that the
5 president's all-of-the-above energy policy has
6 highlighted. Underlying the previous administration's
7 war on coal was this radical belief that there is no
8 such thing as clean coal, that literally there is no
9 benefit from the mining of coal, and we ought to get
10 off of it entirely.

11 Now, President Obama didn't say that. He
12 couldn't. But some of his allies making decisions,
13 that's exactly what their mindset was. And here is
14 why that is and was dangerous. When you declare an
15 abundant resource off-limits because of a political
16 agenda, you close your mind from the scientific
17 possibilities that comes from advanced research. Peak
18 oil.

19 I'm here to say as Secretary of Energy I
20 will not give favored research status to a few
21 handpicked industries. We will go where the science
22 leads and do what the economy needs. Yes, we will
23 continue to do research on clean technologies, whether
24 they are renewables or how to make conventional
25 sources cleaner. We'll pursue the most promising

1 technologies free of an agenda to distort the energy
2 marketplace.

3 And here is why that is so important. It is
4 only in keeping an open mind about coal that we can
5 tap its potential. We now know, from a study of U.S.
6 coal ash, that coal mined across the United States,
7 but particularly in the Appalachian Mountains, it
8 holds potential, and tremendous potential, for the
9 development of rare earth elements vital to the
10 advancement of clean energy technologies.

11 We found elevated content of critical rare
12 earth minerals, hafnium, neodymium, rhenium. Those
13 are all used in the development of new jet engines.
14 We found traces of gallium, which is a vital component
15 in electronics.

16 Today, those rare earth minerals come in
17 large portion from China. But if we can develop these
18 vital national security products from our own coal
19 ash, it will shift the balance of trade, enhance our
20 national security, and create tremendous opportunity
21 here in America, all because we kept an open mind
22 about coal.

23 And let me underscore the symbiotic
24 relationship of traditional fossil fuels and clean
25 technologies. In this case, we're advancing clean

1 technology through the scientific process involved in
2 examining the potential of a fossil fuel. When I was
3 in Houston, in Richmond, outside of Houston, the other
4 day, I saw just the opposite of that. We were using
5 CCS, which is a new, clean technology, to pour carbon
6 into an oil field to enhance production of a fossil
7 fuel.

8 Here is the point. We have to stop this
9 either/or debate in energy. We've got to get clear in
10 our minds and in the public's mind that this isn't an
11 either/or process, that we either choose renewables,
12 or we choose fossil fuels. We can choose both. And
13 when we choose both, we will assist in the development
14 of both.

15 To believe in science is not so simple as to
16 say you believe fossil fuels contribute to climate
17 change. To believe in science is to allow the
18 scientific process to examine the potential of all
19 sources of fuel, undeterred by political
20 considerations, to find new and amazing uses to
21 improve the quality of our planet.

22 As Secretary of Energy, I can promise you
23 there are no sacred cows, no most favored energy
24 sources. We will do research in areas where it's most
25 promising. We will let our sources compete on price,

1 and we will live by a simple policy, and that is: we
2 want energy that is made in America for the good of
3 America and American jobs.

4 The president made one request. Let's just
5 not make America be energy-independent. Let's make
6 America be energy dominant. And we will. God bless
7 you. Thank you.

8 (Applause.)

9 MR. DURHAM: Thank you, Mr. Secretary. Good
10 to hear something good about coal.

11 So let me now introduce the incoming chair,
12 Greg Workman, who will introduce our next speaker.

13 MR. WORKMAN: Good morning. It is my
14 pleasure to introduce our industry keynote speaker,
15 Steve Nelson, chief operating officer with Longview
16 Power. Again, Steve's full bio is included in your
17 packet. I'd like to highlight a few of his
18 accomplishments.

19 Steve joined Longview in January of 2014 to
20 manage the plant rehabilitation work with over 36
21 years of industry experience encompassing the key
22 aspects of power plant operations and maintenance.
23 Steve has extensive experience in generation assets,
24 strategy development, implementation, financial due
25 diligence, program management, maintenance

1 engineering; significant experience also in
2 troubleshooting plant equipment, plant organizations,
3 and aligning the assets' capabilities with key
4 business objectives.

5 Prior to Longview, Steve -- a deep
6 history -- worked for Sacramento Utility District,
7 Babcock & Wilcox, Pacific Gas & Electric, PPO,
8 Montana, Aptec Engineering Services, as well as Black
9 and Beech.

10 So without further ado, please welcome Steve
11 Nelson.

12 (Applause.)

13 MR. NELSON: Well, I really appreciate being
14 here, and I couldn't have asked for a better
15 introduction than what the Secretary provided. I
16 think he has talked about, you know, he really
17 highlighted a potential bright future for coal, if we
18 look at taking technology to a new degree. And I'd
19 like to highlight that plan in action.

20 The Longview power plant is a relatively new
21 power plant. It's not necessarily a research project.
22 It's an actual functioning piece of technology that
23 shows the real advantage of what coal can be.

24 A little bit of background on Longview.
25 We're 778 megawatts gross, 700 megawatts net. We're

1 located near Morgantown, West Virginia, just north of
2 Morgantown, right on the border with Pennsylvania.
3 The plant started operations late 2011, really early
4 2012. We compete against other PJM coal units that
5 are at or above 45 years of age. So we are the
6 youngster in the group.

7 The plant was built at a total project cost
8 of \$2.1 billion. We firmly believe today with
9 adequate planning and management that it's possible to
10 build this plant again for \$1.5 to 1.7 billion.

11 In 2015, we spent approximately \$120 million
12 on the rehabilitation project to correct some
13 construction and slight design errors. The result has
14 been, we are now the most efficient coal unit in North
15 America, and probably within the Western Hemisphere.
16 I'll go into that a little bit more.

17 Additionally, we have exceptional low air
18 emissions, with minimal wastewater discharge, near
19 zero. We are also the lowest-cost coal-fired
20 generator in PJM, and the driver behind that is the
21 fact that we own our own coal, and we're basically a
22 mine mouth power plant.

23 The heart of this technology and
24 improvements that we see in coal-fired generation for
25 Longview is our boiler. It's a Foster Wheeler

1 designed advanced super-critical boiler. It is the
2 first of a kind, low-mass flux, vertical tube,
3 super-critical boiler. That means that we have a lot
4 less pumping power to get fluid through the boiler,
5 and thus it improves our efficiency.

6 This system has worked wonderfully. We've
7 had some issues with the boiler's nose arch, which we
8 remediated in 2015. We took a three-pronged approach
9 in improving this technology in the boiler. We looked
10 at combustion and optimized combustion. We optimized
11 our materials and our welding quality. And then we
12 looked at our circuitry and fluid flow, so kind of a
13 little bit of belt-and-suspenders approach, but it
14 allowed us not only to improve reliability, but also
15 to improve overall combustion quality and performance.

16 I would like to highlight that we've used
17 some very unique approaches to combustion air control.
18 We've got some wonderful monitoring technology that
19 allows us to run with very low excess air, that helps
20 us with our efficiency. We have to pump less air. It
21 also helps us with our emissions.

22 Another aspect of the plant, I think a very
23 key one, is that the plant is really a fresh, clean
24 sheet of paper design, and it was, you know, we went
25 down the path of integrating an air quality control

1 system from scratch. That means that we can capture
2 inherently greater efficiencies and achieve cleaner
3 emissions at the same time.

4 We got improved efficiencies with that air
5 emissions control, but we've also achieved best-
6 available control technology with this approach. Low
7 NOx burners, acid mist reduction, SO₂ removal through
8 FGD, which we now have 99.5 percent removal rate,
9 excellent mercury and HAPs removal.

10 If we have a challenge at Longview around
11 this, it's measuring mercury. We remove so much
12 mercury that our challenge is measuring it. The one
13 thing that I want to highlight here -- it's a big
14 difference between us and others -- is our post-jet
15 fabric filter or the baghouse. That is a key piece to
16 mercury performance, particulate matter performance,
17 and overall HAPs capture.

18 The other aspect that's advanced piece of
19 technology is our turbine generator set. This is the
20 global design that's being deployed throughout the
21 world. There is advanced 3D blade design in the
22 turbine. The LP turbine rotors run at an efficiency
23 between 92, 93 percent, which is very high.

24 It's a very reliable machine. It has a very
25 high ramp rate. We ramp 20 megawatts a minute.

1 That's comparable to some CCGTs.

2 We had some issues in a generator initially,
3 some hydrogen leakage, some elevated vibration. Those
4 have been resolved. The other issue that we had to
5 address was our startup fuel.

6 Back in 2014, during the polar vortex event,
7 we had come down with a tube leak, and we couldn't get
8 back up. During that whole event, we were sitting
9 down, and it was because we couldn't get gas. We were
10 curtailed by the local gas supplier.

11 So we pretty much gritted our teeth and said
12 that was never again. And so went towards inside-the-
13 fence fuel supply through the world's largest mobile L
14 and G system. We currently, I checked this morning.
15 We have 62 days worth of coal laying on the ground.
16 We also have two to three full startups in these L and
17 G tanks. We are fully independent in terms of fuel.

18 I think this is a key advantage when you
19 look at what coal brings to the mix, is that we have
20 the ability to operate independently inside the fence.

21 The thing that was critical for us is since
22 2014, the capacity performance requirements that PJM
23 puts on us comes with significant penalties, almost
24 enterprise-ending penalties. So the startup
25 capability inside the fence allows us to avoid that

1 risk while providing the best reliability for the grid
2 as a whole.

3 We also, about a year ago, when gas prices
4 hit very low prices, we realized that we should be
5 burning gas. And we did. We burned up to our maximum
6 capability with the installed equipment, 20 percent of
7 the heat input by natural gas. That gave us about a
8 little bit under 10 percent improvement in our CO₂.

9 I want to talk about that efficiency a
10 little bit, 8842. That's our all-in heat rate. That
11 was for 2016.

12 In 2015, we had a little over 9,000 heat
13 rate all-in, and that included a lot of outages, ups
14 and downs, part-load operation. I checked this
15 morning. Our full-load heat rate was 8680. And I
16 scratch my head every day when I see those numbers.
17 How can that be? Well, it is because we have very
18 efficient, brand new, tip-to-tail design.

19 You know, what does that efficiency mean?
20 It means less CO₂. We are about 20 percent less than
21 the current fleet in CO₂ production. It means less
22 conventional pollutants. It means lower production
23 cost, less landfill requirements, less water
24 consumption. Efficiency matters.

25 The other part that matters is cost. You

1 know, when you look at this curve, this is the PJM
2 stack. Now I can use that pointer.

3 Over in here, you see that's primarily wind
4 and water that dispatches first. Then you have the
5 yellow and orange and red, which is nuclear, high-
6 efficiency CCGTs, high-efficiency coal. And then as
7 you go up, you get more coal, older legacy coal, some
8 CCGTs, and then finally peakers. The red dot is
9 Longview.

10 So we're dispatching with wind and water.
11 That's because of our low marginal cost. That goes
12 with our economic design, having integrated plant. It
13 goes with that efficiency and that low heat rate.

14 But we also have an order of magnitude
15 difference in our pollutants. You know, more
16 efficient, better combustion, integrated AQCS design,
17 and that baghouse.

18 When we look at the current fleet as a
19 whole, and then fleet with AQCS that has been
20 retrofitted, and then you look at these modern units,
21 that's an order of magnitude change. This really
22 leads to what the Secretary had just pointed out.
23 There is viable methods of cleaner coal, and that's
24 what clean coal looks like right there.

25 So it , you know, we look at our byproducts,

1 our water usage. Really again, having that integrated
2 economic design, owning our own fuel, deleting the
3 transport costs, that really allows us to be much more
4 competitive, minimizes the impact to the community.

5 We look at the water requirements, it's very
6 low. With, again, an integrated design, you don't get
7 that with retrofitting old plants with AQCS. But when
8 you start with a clean sheet, what you end up with is
9 you get everything in balance. And things like water
10 and air emissions, water usage, shows what a clean
11 sheet design does. We discharge about 30 GPM to a
12 mine pool, which we subsequently clean up. But that
13 30 GPM is not continuous. It's intermittent. So it's
14 a very low water discharge plant.

15 We also are looking at ways and currently
16 exercising our methods to reuse all our byproducts;
17 bottom ash, fly ash, gypsum. We currently have about
18 20 to 30 percent being recycled for concrete use, for
19 agricultural use, development of fertilizer, and we're
20 continuing to develop those markets. Our projections
21 is to get to 100 percent reuse of all those
22 byproducts.

23 I think we should note that when we do
24 things like that with fly ash, if we displace cement
25 with fly ash, it's a one-for-one benefit on CO₂,

1 because it's not just coal plants. It's CO₂
2 producers. But cement kilns are also a significant
3 CO₂ production source.

4 So all that, and it's reliable too. We came
5 out of our rehabilitation efforts. We did a 21-day
6 test, and we passed with 99.5 percent equivalent
7 availability factor. We continued that trend
8 throughout 2016, a 92 percent EAF, 86 percent capacity
9 factor. And if the market was better, that would have
10 been in the 90s. When you compare that to the other,
11 newer, modern plants in the U.S., their capacity
12 factors averaged 67 percent.

13 So that tells you something about how
14 Longview's economic model and its overall efficiency
15 is driving an overall benefit. Again, our 2015 all-in
16 heat rate was 9,009. That won us the Peabody Clean
17 Coal Award for heat rate for last year. When we
18 compare it against an ultra super critical, the only
19 one built in the United States, Turk, it's 2015
20 numbers was 9,038. And again, I'll highlight what
21 our '16 number is; 8,842.

22 Our emissions, significant orders of
23 magnitude improvement in mercury as well as PM, and
24 our CO₂ production being 20 percent in the remaining
25 fleet. The other benefit that we've seen through

1 optimization efforts is prior to that effort, the unit
2 had a hard time making full 700 megawatts. Now we
3 routinely make over that amount, 703, 704, up to 710
4 for days. It has turned out to be a very reliable
5 unit.

6 Again, this unit is not an exercise in
7 research. It's a result of good research. It is
8 research in practice, and it's very successful.
9 Again, its ability to burn natural gas shows what the
10 future could be with additional upgrades. The
11 potential to burn 40, 50 percent natural gas would put
12 us in compliance with what was the Clean Power Plant.

13 Again, I really appreciate Secretary Perry,
14 because he kind of pointed right exactly to what
15 economic growth and what impact clean coal can have.
16 We employ 600 skilled workers with very good paying
17 jobs. That's good paying, steady employment, over
18 generations. We look at positive and substantial
19 economic impact to other local businesses, through our
20 purchase of coal and limestone.

21 We also exercise about \$105 million per year
22 of goods and services. That's a real economic impact
23 for our local area. Substantial contribution in terms
24 of monetary and community commitment, through taxes
25 paid and through other community support services.

1 Again, you know, really looking at Longview;
2 it shows what, you know, an advanced coal combustion
3 technology can be. We think replacing the existing
4 fleet of those 40-plus-year-old plants and looking
5 towards these high-efficiency, low-emissions plants
6 like Longview really shows where we can go, cleaner,
7 more reliable, more effective, more economically
8 viable.

9 The potential for co-firing gas as well as
10 its increased efficiency allows us to be the best test
11 bed for CCS. Longview was designed to have CCS
12 retrofitted on the back end eventually. There is room
13 back there that was provided exactly for that
14 technology.

15 So where do we go from here? You know, the
16 Clean Power Plan and the New Source Rule (sic) has
17 done a significant amount of negative impact to coal
18 technology. And it seems like it only has happened in
19 America that we've hobbled ourselves that way. As a
20 result, the current fleet is not really competitive
21 with CCGTs.

22 It sure sounds like the new administration
23 is intending to roll back those regulations, or to put
24 them in the context where we could actually grow coal
25 effectively through these sort of technologies.

1 We would like to see a rewrite of the Clean
2 Power Plan to focus on CO₂ emissions and look towards
3 best systems of emissions reductions. You know, we
4 can't really rely on retrofits. I think, you know,
5 I've been around power generation for quite a while,
6 and generally with retrofits, you see less efficiency.
7 You don't see that clean-sheet benefit.

8 It's because of that that really Longview
9 demonstrates the best systems of emissions reductions,
10 and it should be replicated to maintain coal-fired
11 power in the United States.

12 So in a bit of conclusion, Longview does
13 demonstrate what a highly efficient, clean-fired,
14 coal-fired power plant in operation can be, with full
15 environmental compliance.

16 I thank you for your time and consideration
17 of what the future of Longview is presenting. Thanks.

18 (Applause.)

19 MS. GELLICI: We will take some questions
20 for Steve.

21 MR. PALMER: Steve, Fred Palmer with
22 Heartland Institute. Great, great presentation, and
23 congratulations on a fabulous plant.

24 MR. NELSON: Thank you.

25 MR. PALMER: With respect to the retrofit

1 question, this aging coal fleet that is 48 years old
2 now and will be 70 years old by 2040, and EIA assumes
3 a steady-state capacity, and they degrade over time,
4 so they have to be retrofitted, period.

5 MR. NELSON: Sure.

6 MR. PALMER: How can you do this at smaller
7 scale and get the same results, both from an economic
8 standpoint and also from an emissions standpoint with
9 the iron that's sitting out there now?

10 MR. NELSON: By doing this, you mean a
11 replacement of units with --

12 MR. PALMER: Yeah, to retrofit the existing
13 fleet with the technology that you're deploying here
14 on older, smaller units.

15 Can you do that, or do you have to do a
16 rebuild, a massive rebuild?

17 MR. NELSON: I think you end up in a massive
18 rebuild. I mean, again, the real benefit that we are
19 seeing here is that, what I call the clean-sheet
20 approach. In having a design that inherently
21 incorporates that, you know, a modern AQCS system; you
22 can only get that through significant gas flow
23 modifications. The steam systems all are coordinated,
24 you know, and the result is better overall emissions
25 with improved efficiencies.

1 Could it be done, and are there situations
2 out there where you could retrofit an older, smaller
3 plant? Sure. But I think you need to do the math on
4 how much that truly would cost for the benefit you
5 would get.

6 MS. GELLICI: Other questions?

7 MS. KRUTKA: Hi. Holly Krutka, Peabody
8 Energy.

9 That's really impressive, and a really great
10 presentation. So thank you. I'm just curious. I
11 mean, your capacity factor is pretty high, 86 percent.
12 But you're so low on the cost curve. Can you just
13 talk about what would make you ramp down? Because you
14 said it was the market. But what kind of market
15 conditions can make a plant like this ramp down?

16 MR. NELSON: Really cheap gas.

17 (Laughter.)

18 MR. NELSON: We basically are baseloaded
19 pretty much all the time. I would say 97, 98 percent
20 of the time we're baseloaded. But there are cases
21 like a year ago in March, you know, we saw natural gas
22 below \$1.80. And overnight, you're going to see
23 really low prices below our marginal cost. You're
24 going to see negative prices. And when that happens,
25 PJM gets on the phone, and they direct us down.

1 And that's primarily it. Other than that,
2 we pretty much put a brick on the accelerator pedal
3 and don't touch it.

4 MS. GELLICI: Other questions? You
5 mentioned, you know, being able to build the next
6 plant at a significant savings. Do you see any
7 challenges associated with going ahead again with
8 another new plant, what might be the primary
9 challenges that you see and need to confront?
10 Certainly you've got a lot of the technology worked
11 out at this point.

12 MR. NELSON: Right. The Secretary hit the
13 nail on the head. It's really investor confidence.
14 It's the question that we asked our investors. You
15 know, we're owned by private equity and hedge funds,
16 and so we turn to them and say, well, what would
17 incent you to do that. And it's just their fear of
18 variable regulation.

19 That really, if you solved that one and
20 provide, say, tax incentives going forward, I think
21 that makes that a lot easier. Coal has been hobbled.
22 The subsidies given to renewables, the tax benefits
23 and the tax writeoffs that gas can take advantage of
24 and be pretty much capital-free in their financing,
25 that gives them a distinct advantage, and coal has

1 none of that.

2 MR. BIBB: Bob Bibb, Bibb's Engineers.

3 I was going to ask this before Holly asked
4 her question, but along the same lines. PJM, you've
5 got a fixed-capacity payment, and then you compete
6 more or less on an incremental-cost basis. And I was
7 wondering how your mine mouth cost of fuel contributes
8 to that overall low incremental cost.

9 I don't know if you want to talk in terms of
10 dollars a million or relative to other coal-fired
11 plants that ship in coal. But how big an impact is
12 being in a mine mouth operation?

13 MR. NELSON: Right. Good question. It's
14 really what we've done is integrated the organization.
15 You know, it's vertically integrated. So we get some
16 savings there. But the big driver really is cutting
17 the transport costs. We have a four and a half mile
18 conveyor directly from the mine mouth. That really
19 helps. That's probably a savings in the order of
20 \$3.00 to \$5.50 a ton. So that really helps.

21 So it's really a combination of those, that
22 integration and the savings and the transport costs.

23 MR. ROLING: Dan Roling with Novadx
24 Ventures. My question is along those lines.

25 For a long time, I always wondered why --

1 this was 20 years ago when I was naive about why more
2 mine mouth plants weren't built. And then there were
3 utilities that had mine mouth, and they were forced to
4 segregate them for regulatory reasons, where the
5 utilities couldn't have their own coal.

6 Has the state of the regulatory environment
7 in this country changed to the point where we could
8 replace a lot of the utility-owned fleet with mine
9 mouth facilities owned by utilities and eliminate a
10 significant portion of the transportation; or is the
11 regulation still such, as I think it is in the
12 Southeast, where you're never going to be able to
13 build mine mouth plants and transport the electricity
14 instead of the coal.

15 MR. NELSON: Yeah, good point. I don't
16 really have the answer to that. I'm not a regulatory
17 attorney, and I don't know that.

18 The one thing I do know is, being primarily
19 a power plant guy, and now having to deal with a coal
20 mine and a deep mine, that's a different animal.

21 (Laughter.)

22 MR. NELSON: My hats off to you guys.
23 That's not an easy thing.

24 It's a risky venture. And I can see why
25 certain operating companies, generation operating

1 companies, may not want to venture into an area they
2 don't know a lot about.

3 So that's a new skill set, from a business
4 management perspective. We spend a lot of time
5 managing our coal mine. Thank God we're not spending
6 too much time on our power plant anymore.

7 You know, but I think to me that's one of
8 the challenges, is that I would not tread into that
9 lightly. Because I'd want to make sure that I had the
10 right mine, the right technology in my mine, I have
11 all the logistics lined up. And then when you start
12 doing that math and then how you site that power plant
13 and the mine together, how does that work?

14 But, you know, you've kind of asked
15 questions kind of near and dear to my heart, is that I
16 really think that there is a very good thread to pull
17 on around how you get the economic efficiency of fuel
18 extraction to energy conversion. Things like mine
19 mouth, well head, and placing that energy conversion
20 as close as you can. There is great opportunities and
21 efficiencies, both economic and physical, by doing
22 those sort of things.

23 MR. FLANNERY: Hi, Steve. Dave Flannery
24 with Steptoe and Johnson in Charleston. We love your
25 plant in West Virginia, I should say.

1 Let me take you to ozone. A Casper update
2 kicks in on May 1 of this year. We have a 70 part-
3 per-billion standard that hasn't yet kicked in. The
4 president has indicated ozone is on his radar screen.
5 We've seen EPA go to the courts and slow down that
6 process of advancing those.

7 What threat is the next generation of ozone
8 regulation to your plan, if you know?

9 MR. NELSON: I know, and we're not worried
10 about it.

11 So we're just up the hill from the Fort
12 Martin plant, a 50-year old power plant. It's really
13 a unique situation that we have. And some of the
14 folks that spend time in Morgantown, and they can both
15 of those plumes from downtown, take a good look at it.
16 You look at that older plant, that plume that comes
17 out of Form Martin has a little bit of a blue tinge to
18 it. You know, that's a little bit of SO₃ and
19 potentially ozone, a little bit of brown from PM and
20 photochemical spot from NOx.

21 And then you look over and you see Longview,
22 and it's primarily just puffy white, mostly vapor. We
23 don't have any real concerns with compliance to MATs
24 or Casper.

25 You know, I showed you what our permit

1 limits were. We easily make our permit limits. We
2 don't struggle to dance on a pinhead to meet those
3 numbers. It's our technologies there.

4 Again, to that point of the retrofit, can
5 you retrofit this technology in the older units? This
6 is another benefit of having that clean sheet, is that
7 you are going to have a lot less risk about meeting
8 your compliance. Does that answer your question?

9 MS. DOMBROWSKI: Katherine Dombrowski with
10 AECOM. You talked about needing regulatory certainty
11 in order to have these types of investments in these
12 plants in the future. Yet you guys managed to pull
13 this investment together several years ago. What were
14 the factors that led to this plant being built?

15 MR. NELSON: There was a desire to get a new
16 coal plant in West Virginia, for obvious reasons.

17 I think at that time, under that
18 administration, under the Bush administration, there
19 was that window to build these plants. Iatan,
20 Comanche, Sandy Creek, Prairie State, Longview, right?
21 And so there was an overall opportunity. That allowed
22 us to build that, that and capital that was willing to
23 take the risk.

24 MR. LOPRIORE: Congratulations on your
25 success. And I agree with others, a real good

1 presentation. I'm rich Lopriore, a retired president
2 of PSEG Fossil, and now I'm doing stuff, so I don't
3 know.

4 Anyways, my question is operational
5 excellence model. You got a very good technology
6 here. Sustainability for the long term is really the
7 answer to any future. Any new plant runs well, in my
8 experience, for five years; and you run around,
9 changing oils, and tweaking things, and all of a
10 sudden stuff starts to go bad.

11 And really important that the operators
12 don't make human performance errors, mechanics are
13 using the state-of-the-art technology with, you know,
14 using TED, you know, computer-based systems where they
15 can go out and efficiently get their work orders in
16 place.

17 So my question is, do you have an excellence
18 model that is going to help sustain performance over
19 the long term?

20 MR. NELSON: That question is near and dear
21 to my heart. Thank you for that.

22 (Laughter.)

23 MR. NELSON: That is what I live every day,
24 and make sure that our guys live that every day. And
25 I'm going to crow a little bit here.

1 Been around a lot of power plants all over
2 the world. I've got the best damn crew on the planet.
3 There is that mountaineer spirit. These guys are
4 good. And they are very, very proud of their hot rod.
5 And they polish it, and they take care of it. And we
6 give them all the technology they need.

7 The advantages of what was originally built
8 into the plant, and what we did to optimize especially
9 the control system, one thing I didn't mention, is
10 that we removed the Siemens control system, and we put
11 Emerson Innovation system in. And in that process,
12 although the plant already had a significant amount of
13 instrumentation and monitoring, we enhanced it. We
14 did things like the Black & Veatch Asset 360. So
15 we're leaning on them to help us.

16 We're a single-entity facility. So we're
17 only 86 operating people, so we're lean. You know,
18 you compare us against others, you know, that's a real
19 testimony to our folks.

20 I'm a stickler for cleanliness. Anybody
21 that has been to our plant will recognize how clean it
22 is. And that's not just because we want to make it
23 pretty. We like that, but what it really does is it
24 gets people connected to the plant, to the plant
25 itself. It also improves safety. We have an

1 excellent safety record.

2 But when those folks started putting their
3 hands on to physically clean that equipment, they felt
4 the vibration. They found oil leaks. They got
5 intimate with that equipment. And we routinely get
6 people walking up saying, you know, that boiler feed
7 pump, booster pump, doesn't sound right. And then we
8 go into our advanced monitoring equipment, and look
9 for the facts, and dig up what our threats are.

10 Our topic twice a day is, what is our
11 threats to generation, and we look forward. It was
12 one of the biggest challenges I had when I first got
13 there, is that I had a workforce that was very, very
14 good at reacting. And we needed to change that. We
15 needed to make them proactive and look forward. And
16 they do that, and they do that very effectively.

17 MS. GELLICI: We have time for one last
18 question here.

19 MS. SULLIVAN: Hi. Vicky Sullivan with
20 ACCCE. Thanks for your presentation. It was
21 fascinating. And congratulations on recycling 20 to
22 30 percent of your solid waste and trying to get to
23 100 percent.

24 My question has to do with another set of
25 regulations that we in the electric utility industry

1 are dealing with, coal combustion residuals and F1
2 limitations guidelines. Do you see those regulations
3 having an impact on your facility and operations going
4 forward?

5 MR. NELSON: Yes, potentially. Again, I'll
6 go back to that thing of being proactive.

7 You know, we're being driven on an economic
8 basis as well as a community benefit to get that
9 recycling increased. And we believe if we continue
10 down that path, that's the best hedge we can against
11 those sort of regulations.

12 One advantage we've had is that our
13 landfilling occurs on a dry basis. It's not a slurry.
14 that helps us. But overall, we're not too concerned
15 as long as we stay proactive about finding places for
16 our residuals, useful places.

17 MS. GELLICI: Steve, thank you so much. It
18 was an incredibly wonderful presentation. Thank you.

19 (Applause.)

20 MR. DURHAM: Thank you, Steve. We greatly
21 appreciate your presentation, very engaging discussion
22 we had afterwards as well.

23 So thank you again to both of our keynote
24 presenters this morning. We're now going to be taking
25 about a 30-minute break, reconvene here at 10:15. I

1 have official Apple time of 9:46, so it's actually a
2 29-minute break.

3 MS. GELLICI: Sorry. I noticed there is a
4 few of my NCC members in the back. We do have some
5 seats that have opened up in the front. If you'd like
6 to move up, I invite you to do so.

7 Thank you. We'll see you at 10:15.

8 (Whereupon, a brief recess was taken.)

9 MS. GELLICI: Thank you.

10 I'd like to kick off our industry
11 presentation session this morning. I think we're off
12 to a great start. That was a very rousing session
13 this morning, so I appreciate everyone coming back. I
14 know you're all energized, as am I.

15 But more great things to come here yet this
16 morning, so I'd like to again kick off our industry
17 presentation session this morning by introducing
18 Anthony Leo, Vice President of Applications and
19 Advanced Technology Development with FuelCell Energy.

20 Tony is, as I said, with the Advanced
21 Technology Group. That group develops fuel cell
22 carbon capture. And that group is also working on
23 developing next generation products, including the
24 solid oxy fuel cells used for hydrogen production and
25 other programs such as advanced fuel treatment and

1 evaluation of alternative fuels.

2 Tony joined FuelCell in 1978 and has held
3 key leadership positions in RD&D and commercialization
4 of technologies during his tenure there.

5 He served as the Chairman of the American
6 Society of Mechanical Engineers in their Fuel Cell
7 Performance Test Committee. He holds a bachelor of
8 science degree in chemical engineering from Rensselaer
9 Polytech Institute.

10 Would you kindly join me in welcoming Tony
11 Leo. Tony?

12 MR. LEO: Good morning.

13 I'm going to talk about a unique way to do
14 CO2 capture from coal plants or from other flue
15 sources using a carbonate fuel cell power plant.

16 The first couple of slides I'm just going to
17 tell you a little bit about my company. If I can
18 figure out where to aim this. There we go.

19 So FuelCell Energy manufactures, sells,
20 installs, services power plants from 1.4 megawatts to
21 3.7 megawatts based on carbonate fuel cell technology,
22 a technology that is now commercial, but that was in
23 fact developed with a lot of Department of Energy
24 Support in the 1990's and early 2000's.

25 We like to think of ourselves as being in

1 the energy supply, recovery and storage. Supply, of
2 course, from power generation. A couple of recovery
3 technologies, in addition to carbon capture, is
4 recovering energy from natural gas pressure let-down
5 stations using carbonate fuel cells, and also
6 purification of dilute hydrogen streams using some of
7 our other electrochemical technologies.

8 And we're looking at using our solid oxide
9 based fuel cells for things like hydrogen generation,
10 hydrogen-based energy storage. But I'm going to focus
11 on the carbonate fuel cells and their application in
12 carbon capture today.

13 A little bit more about the company. We are
14 based in Danbury, Connecticut, about an hour northeast
15 of New York. And about an hour northeast of Danbury,
16 which is our corporate headquarters, is our factory in
17 Torrington, Connecticut. So those fuel cell stack
18 modules are built in Connecticut and essentially
19 exported.

20 Our main markets are North America, Europe,
21 and Asia, specifically South Korea. And I won't go
22 through them all, but you can see, this just shows a
23 list of our customers behind the meter and in front of
24 the meter as well as strategic partners and investors.

25 So a little bit about what fuel cells are,

1 and then I'll show you how they can be used in CO2
2 capture.

3 The picture all the way at the left shows a
4 fellow who's actually holding a fuel cell. And fuel
5 cell is a thin sandwich. It's a fuel electrode that
6 consumes fuel and makes electrons. It's an air
7 electrode that consumes air and also consumes
8 electrons. And when you hook a wire between those
9 two, that's power. And between them is a thin layer
10 of electrolyte, and that electrolyte can be a variety
11 of different things. In our case it happens to be
12 based on alkali carbonate, potassium carbonate, sodium
13 carbonate, those kinds of things.

14 So he's holding an individual fuel cell, and
15 behind him there are 400 of them stacked up.

16 So that individual thing he's holding makes
17 a little less than a volt. So you've got about 350
18 volts or so in the stack behind him.

19 And in our standard fuel cell package, we
20 put four of those stacks inside an enclosure, and
21 that's a 1.4 megawatt fuel cell module. That's what
22 it nets after conversion from DC to AC and feeding
23 parasitic flow.

24 We use one of those modules in our 1.4
25 megawatt system. Two of them go into our 2.8 megawatt

1 system. And we now have a 3.7 megawatt system that
2 uses a third module. That third module runs off
3 leftover fuel from the first two, so it achieves about
4 60 percent electrical efficiency. So it's like a
5 natural gas combined cycle type efficiency, but at a
6 distributed generation size.

7 And it's targeted for a lot of the emerging
8 non-CHP applications. Most of our units are deployed
9 in combined heat and power applications.

10 So that 3.7 megawatts is the biggest thing
11 we make, but customers do do bigger projects and they
12 do it by, as you see on the bottom there, just putting
13 multiple units at a site.

14 So this is a little bit of a view of what a
15 typical 2.8 megawatt fuel cell power plant is.

16 As I said, it has those two fuel cell
17 stacked modules. Each of them is netting 1.4, so it's
18 2.8 megawatts total. And the mechanical equipment,
19 which you see in the middle of the system, which we
20 call the MBOP, mechanical balance of plant, is just
21 heat exchangers, air supply, blower, startup, heater,
22 that kind of thing.

23 The electrical equipment, which we call the
24 EBOP, electrical balance of plant, is DC to AC power
25 conversion. Because direct current is what comes out

1 of a fuel cell. It's like a big battery. And switch
2 gear and so forth for interface with the grid.

3 So that's a complete system that takes
4 pipeline quality natural gas or bio gas and converts
5 it to electricity.

6 So I'm going to get a little bit into how it
7 works, because it's kind of important to explain how
8 we can use it for carbon capture.

9 As I said, all fuel cells, they're like
10 batteries. In a battery you have a chemical at one
11 electrode that makes electrons, and another chemical
12 that consumes electrons, and an electrolyte salt
13 bridge between them that completes that circuit. In
14 our case, that's a carbonate.

15 So what happens at our fuel electrode is
16 hydrocarbon fuel, typically methane, is converted to
17 hydrogen and that hydrogen is reacted to make
18 electrons.

19 Meanwhile, at the air electrode, air is
20 being consumed and it's consuming those electrons.
21 And as I said, you hook a wire between them and that's
22 your power.

23 What's unique about the carbonate fuel cell
24 is that the ion transfer that completes that circuit
25 is based on carbonate ions. And as a result of that,

1 there's extra CO₂ produced in our fuel electrodes that
2 needs to be recycle back to the air electrode where
3 it's consumed.

4 So for every molecule of methane we send in,
5 a molecule of CO₂ is going to go out the chimney.
6 When you're in the fuel cell business you can't use
7 stack, because it gets confusing. So a molecule will
8 go out the chimney.

9 But in addition to that one molecule of CO₂,
10 four extra CO₂s are produced in the fuel electrode and
11 recycled back to the air electrode where they're
12 consumed.

13 And the key to the high efficiency is this
14 is an electrochemical process. You have varying fuels
15 to make electricity mechanically. You're avoiding
16 some of the emissions from high temperature
17 combustion.

18 But the key for carbon capture is that
19 little CO₂ recycle, which is pretty inconsequential
20 for power generation. But what we realized as we
21 started to do this work, is that if you interrupted
22 that cycle, if you took most of the four CO₂s that are
23 coming out of that fuel electrode, you would need to
24 provide some other CO₂ from some other source to the
25 air electrode, because it needs them for its reaction.

1 And that source could be the flue gas from a coal
2 power plant or some other combustion source.

3 So the idea is that you could literally use
4 this fuel cell for carbon capture.

5 And as we got into the work, and DOE has
6 been supporting this work for a few years right now.
7 As we got into the work we found another benefit which
8 is that if you send a flue gas with NOx into our air
9 intake, as that NOx flows through our air electrode
10 for a variety of mechanisms that it took us a while to
11 figure out, about 70 percent of that NOx will be just
12 destroyed, just flowing over the air electrode
13 catalytic surfaces. So that's a nice side benefit.

14 Plus, as you see in addition to all those
15 CO2s, there's four waters that's produced at the fuel
16 electrode, and so it's a net water producer, this
17 system. And that's an additional benefit in a lot of
18 areas.

19 So the application for carbon capture is
20 kind of shown schematically here. You basically take
21 our standard fuel cell stack module and you add some
22 stuff to the balance of plant that allows you to
23 extract the CO2 that's coming out of the anode.

24 And the key is that you're trying to capture
25 CO2 from a pretty dilute source. Depending on the

1 fuel, something like 5 to 15 percent CO₂, it's hard to
2 capture and purify.

3 But when you flow that into our air
4 electrode it gets electrochemically pumped from that
5 dilute stream to a much, much smaller stream, our fuel
6 stream. So when it comes out of our fuel electrode,
7 that fuel exhaust gas is leftover fuel, about 70
8 percent CO₂, and the rest is mostly hydrogen. It's
9 very easy to separate the CO₂ from that stream.

10 So essentially, the fuel cell while it's
11 making electricity, is acting as an electrochemical
12 pump for the CO₂. And it's that co-production of
13 electricity while you're doing carbon capture that
14 enhances the economics. Because instead of taking a
15 500 megawatt coal plant and adding a carbon capture
16 system on it that converts it to a 300 megawatt coal
17 plant, you're taking a 500 megawatt coal plant and
18 you're adding 300 megawatts of power generation to it.
19 So it's like a whole different type of economics.

20 So the applications are pretty much what
21 you'd think. Capture from large-scale coal systems,
22 capture from natural gas plants, capture from
23 industrial processes; boilers and so forth.

24 And one interesting application is capture
25 for enhanced oil recovery, because you can actually,

1 you can think in terms of having systems that are
2 actually at the oil production site running off
3 associated gas producing CO2 that can be used for
4 enhanced oil recovery out on-site. So a little bit
5 interesting sort of distributed CO2 production for EOR
6 approach.

7 So as I said, the Department of Energy has
8 been funding the R&D for a few years now. We have
9 done small cell testing to identify exactly what
10 impurities do to the fuel cell; the types of materials
11 that you would see in a coal plant. We have done
12 stack testing, so-called bench scale testing.

13 And now we're moving on, doing the first
14 megawatt scale demonstration.

15 And this is going to be at a coal plant, at
16 the James M. Barry electric power generation plant
17 right outside of Mobile, Alabama. It's Alabama Power
18 Southern Company's plant. And there's about two
19 gigawatts of generation there, roughly half and half
20 coal and natural gas. We are going to connect to the
21 coal exhaust and take a slip stream, of course,
22 because we're just going to do one 2.8 megawatt plant.

23 We're going to capture 90 percent of the CO2
24 from a stream that's equivalent to about three
25 megawatt's worth of coal generation. And it's going

1 to be the first megawatt scale demonstration of this
2 technology so we're pretty excited about it.

3 So the DOE program has been focused strictly
4 on coal, and in parallel we've started a development
5 effort with ExxonMobil to look at capture from natural
6 gas sources. There are some differences. It's a
7 lower CO2 level, probably a hotter exhaust. And it's
8 possible that after we do the DOE demonstration on
9 coal, it's conceivable we could use that same pilot
10 for demonstrating the natural gas technology we're
11 developing with ExxonMobil. But they're two separate
12 programs basically.

13 And so as I said, it will use one of those
14 2.8 megawatt systems that I showed you. We have to
15 modify the BOP to add equipment to extract the CO2
16 from our anode exhaust and pressurize it and liquify
17 it, and that's what we'll be basically doing at that
18 site.

19 So that's a stepping stone to what we all
20 see as the ultimate goal, which is large-scale systems
21 that are capturing lots of CO2 from very large-scale
22 coal plants.

23 And this is a picture of a system that we've
24 been designing under the DOE program. It's a 350
25 megawatt system that will capture 90 percent of the

1 CO2 from a 550 megawatt coal plant which is kind of a
2 base design plant that we're using in the program.

3 And I showed you the four stack module that
4 our current products use to achieve this kind of
5 scale. It's more economical to look at very large
6 multi-stack modules. So these stack modules have
7 hundreds of stacks in them instead of just four, to
8 make it more compact.

9 So because of the low cost of the fuel cell
10 equipment and the fact that you're generating a
11 revenue stream of power, the cost analysis that we've
12 done and we continue to do, indicate that we're on
13 track to meeting and doing better than the DOE targets
14 of \$40 a ton or two center per kilowatt hour cost
15 addition.

16 Again, it's the coal production of power
17 that makes this an attractive way to do carbon
18 capture.

19 So this is where we think the technology and
20 the application goes. This is the home run. This is
21 what we're working for.

22 But what we've asked ourselves is in the
23 meantime, as we're developing this technology, are
24 there near-term applications that we can use kind of
25 to help us get down the road with this technology.

1 And so one of the things we've thought about
2 is, well, what if you took one of those 2.8 megawatt
3 plants and modified it for carbon capture and actually
4 put multiples of those the way some of our customers
5 do, what we call fuel cell parts.

6 And you could start to think about doing
7 either carbon capture from a smaller system, from a
8 thermal system, or incremental carbon capture from a
9 larger system. This happens to show 12 of those units
10 that would be capturing 500 tons a day from a coal
11 flue. Plus it captures its own natural gas fuel.
12 These are fueled by natural gas, so we have to capture
13 90 percent of the CO2 that's in the coal flue plus 100
14 percent of the CO2 that we're introducing from the
15 natural gas.

16 So this system, for example, will produce
17 700 tons per day of CO2, and that's probably too
18 little to think about sequestering. It's definitely
19 too little unless there an actual ongoing well. But
20 it's not a bad quantity of CO2 to think about for
21 finding an industrial CO2 off-taker, like an
22 industrial gas company or a specific user.

23 So this could be one way that we start to
24 get this technology out into the marketplace as we
25 move forward toward that very large-scale vision.

1 So finally, just to wrap up, this is a
2 really interesting technology, primarily because of
3 that co-production.

4 It utilizes this commercially available fuel
5 cell technology with modifications to the balance of
6 plant systems. So it's, the electrochemistry is
7 exactly the same in carbon capture as is in operation
8 in hundreds of power plants around the world.

9 It's modular, lower cost. Primarily from
10 the co-production of power. I mentioned the NOx
11 construction as an additional benefit, water
12 production.

13 And I can't stress, this was invented in the
14 U.S. with a lot of DOE support; manufactured in the
15 U.S. And it's great to see, you know, we got some DOE
16 support for the core technology, commercialized that.
17 That was a real success story, we think, and we think
18 we're on track for another success story with the same
19 level of support in this new step in the technology.

20 So the last thing I'd like to do is just
21 acknowledge and thank DOE and NETL for their support
22 for the project and for their guidance. And open it
23 up to questions.

24 MS. GELLICI: Okay. I have one question.
25 Is this heavy? It looked like it was something that

1 is very feather-light.

2 MR. LEO: One of those four-stack stack
3 modules weighs about 100,000 pounds.

4 MS. GELLICI: Oh.

5 MR. LEO: So it's heavy.

6 MS. GELLICI: So, but the guy can lift one
7 panel easily?

8 MR. LEO: That cell is not heavy. The
9 individual cell is not heavy.

10 MS. GELLICI: Okay. That's the non-
11 technical question. So now we can turn it over.

12 Does anybody have a question? IF you do,
13 please raise your hand. Hiranthie is coming around
14 with a microphone. Please identify yourself.

15 MS. JOHNSON: Hello. My name is Kim
16 Johnson.

17 You mentioned in addition to being fueled by
18 natural gas it could be fueled by bio gas. Is there a
19 specific BTU content that you need when you're fueled
20 by bio gas?

21 MR. LEO: Well, one of our early markets,
22 about half of our systems in California are fueled by
23 bio gas. Mostly used for wastewater treatment
24 centers, but also breweries. And so, when we saw that
25 market, we basically said that we need to sort of size

1 our pipes and so forth for what would be a typical bio
2 gas level, and the answer is about 500 BTUs per cubic
3 foot.

4 MS. JOHNSON: Thank you.

5 MR. FASSBENDER: Alex Fassbender, EcoVia.

6 Just to follow up on that question about bio
7 gas, did you have any concern about silane? Or do you
8 take that out with the balance of plant?

9 MR. LEO: First of all, I'm surprised at two
10 bio gas questions at a coal meeting.

11 (Laughter.)

12 MR. LEO: But the answer to the question is,
13 we take sulfur out. That's the main thing, we look at
14 that because that can poison some of the colloids in
15 the fuel cell. And the systems we use to take the
16 sulfur out take all the siloxanes out. So we've never
17 really had a chance to see what siloxanes would do to
18 the fuel cell.

19 They won't do what they usually do, because
20 there's no combustion in there, so they won't make
21 silica and screw up stuff that way. But in any event,
22 we clean them out kind of incidentally.

23 MR. NELSON: In the exchange in this
24 process, what's the impact of stack life? And is
25 there a change in stack cost?

1 MR. LEO: So far the stack life actually is
2 increased when we do this, and the reason for that is
3 that if you're trying to do 90 percent carbon capture,
4 remember, CO2 is a reactant at the air electrode. And
5 usually we leave the air electrode stream with four or
6 five percent CO2.

7 If you're trying to do 90 percent of the
8 carbon capture from a 5 percent CO2 stream, you're
9 leaving the air electrode at a very low CO2
10 concentration. So at that point we actually dial the
11 current density down a little bit, and everything we've
12 seen so far shows that that actually increases the
13 stack life.

14 But if you're running at exactly the same
15 current density, I don't think there'd be an impact on
16 the stack life at all.

17 MR. THOMPSON: John Thompson, Clean Air Task
18 Force. Great presentation, and thank you.

19 There was a paper, I think, that touched on
20 your technology. It was kind of a case study in
21 Canada, Lingan Plant, if my memory's right. And I
22 think that had some EPRI, you know, cost numbers.

23 I'm wondering, do you feel that that, those
24 estimates of that technology of yours on that plant
25 would represent what you, you know, think it might be

1 today or tomorrow, or are those too high, too low? Do
2 you have a sense on that?

3 MR. LEO: I'm trying to remember the
4 specific study. There actually have been a few
5 studies done in Canada, primarily supported by the oil
6 sands people. A couple of them have used Jacobs
7 Engineering. Some have been more near-term focused,
8 and some long-term focused. And generally speaking,
9 the costs aren't far off from what we would expect.

10 MR. THOMPSON: Okay. Thank you.

11 MS. GELLICI: What is the timeline on the
12 plant, Barry, project?

13 MR. LEO: We recently decided on that site.
14 It took us a while to find that site and finalize the
15 site access agreement. And in rough terms, we're
16 going to spend about a year of engineering,
17 engineering that modification for the BOP system that
18 I talked about and doing site engineering and
19 permitting. And then a year, give or take, for the
20 building. So it's about, a little bit less than two
21 years.

22 MR. ALI: Sy Ali with Clean Energy
23 Consulting.

24 I know you were active in the late '90's on
25 solid oxide fuel cell projects. What has happened to

1 that?

2 MR. LEO: We're still active on solid oxide
3 fuel cells. Give another shout-out to DOE. We have a
4 DOE-supported project, which is looking at ultimately
5 large-scale solid oxide systems running on coal.

6 MR. ALI: Right, a hundred megawatts plus.

7 MR. LEO: And in the near term we're looking
8 at doing systems that are 200, 400 kilowatts in size
9 as a demonstration of that technology, but the
10 possible commercial products.

11 So we're still definitely very active in the
12 solid oxide.

13 MS. GELLICI: Tony, thank you very much for
14 a wonderful presentation.

15 Our next presenter is David Denton, who is
16 the Senior Director of Business Development for the
17 Energy Technology Division of RTI International. In
18 his work in this capacity, David helps to identify and
19 drive new government and industry sponsored business.

20 He was employed for a number of years at
21 Eastman Chemical Company, which is where I got a
22 chance to meet you many, many years ago.

23 David received his BS degree in chemical
24 engineering, our second chemical engineer I guess this
25 morning, from Virginia Tech, and did subsequent

1 graduate work in chemical engineering at the
2 University of Tennessee. He holds several U.S. and
3 foreign patents and has also presented expert
4 testimony before the U.S. Senate Committee on Energy
5 and Natural Resources.

6 He's a fairly new member of the National
7 Coal Council, so we're delighted that David is able to
8 join us in multiple capacities here today.

9 So would you please join me in welcoming
10 David Denton. David?

11 MR. DENTON: Thank you very much, Janet, and
12 thank you for the opportunity to speak today.

13 Just as an intro to RTI, in case you don't
14 know who we are, you may have known us as Research
15 Triangle Institute, now RTI International. We're one
16 of the largest research institutes in the world, about
17 \$900 million of annual research at RTI with 5,000
18 total employees, about half of those located in the
19 Research Triangle Park area of North Carolina. But we
20 do work in approximately 75 different countries.

21 Our Energy Technology Division is focused in
22 these six main areas. We started in looking at clean
23 coal and syngas processing work. Expanded that into
24 these other areas of carbon capture and utilization,
25 biomass conversion, natural gas, extraction and

1 conversion of advanced materials, and industrial water
2 treatment.

3 We focus primarily on this gap of the space
4 between the basic concepts and taking things into
5 where industry will pick up the technologies and move
6 them into the commercial space.

7 We partner with public entities, with
8 academia, and with a number of industrial clients.
9 You see some of those indicated below.

10 The EIA still indicates that coal is going
11 to remain a significant portion of the world
12 electricity generation for the foreseeable future, and
13 that doesn't include the chemicals to, the coal to
14 chemicals and fuels applications that are primarily in
15 China at this time.

16 And even though short term or near term we
17 may see some diminishment in some of the drivers for
18 the need for carbon capture, we still believe that
19 long term global issues are going to drive the
20 ultimate reduction of carbon emissions from the use of
21 coal.

22 And to ensure that coal remains competitive
23 in that kind of an environment, current carbon capture
24 costs are just too expensive. They need to come down,
25 and DOE has set some goals as well as to where they'd

1 like to see that driven.

2 When you look at where the cost comes from
3 conventional route means for carbon capture, over half
4 of it's from power. Most of that is from the reboiler
5 duty for the regeneration of the solvent systems that
6 are used. The next biggest hunk, about a third of
7 it's from the capital contribution of the equipment,
8 and about 11 percent from operations.

9 So when you look at any pathway to reduce
10 that cost ,you need to focus, obviously, quite a bit
11 of effort on that regeneration energy, that reboiler
12 duty, what can you do to reduce that.

13 What can you do as well, on the capital
14 requirements. Looking at things such as efficiency.
15 Simplifying the process arrangement and lower cost
16 materials of construction. And in doing this, trying
17 to keep those operating costs in line as well.

18 Here's just a few examples of some of the
19 current state of the art of technologies that are out
20 there. The first world-scale, large world-scale
21 boiler, carbon capture system, was the SaskPower
22 Boundary Dam unit that's been operating a little over
23 two years. Now about 5,000 tons per day of capacity
24 in terms of its carbon capture at 90 percent. It uses
25 more traditional Shell Cansolv amine type process for

1 it.

2 You heard this morning about the PetroNova
3 project. In fact Secretary Perry was there for the
4 ribbon cutting last week, but they've actually been
5 running since about January of this year. They use
6 one of the more advanced amine systems from Mitsubishi
7 Heavy Industries, what's called their KS-1 Amine
8 System. That also is about the same capacity as the
9 SaskPower system, about 5,000 tons per day.

10 One of the biggest ones that's out there
11 being not ready yet to capture, I don't think, but
12 it's close, is the Kemper County IGCC project. That
13 will capture almost double the amount, almost three
14 million tons per year, of CO2 when that is
15 operational.

16 The one thing here is it uses the Selexol
17 system from UOP for the carbon capture, and that has
18 been demonstrated at very large scale around the world
19 for gasification for chemicals, mainly ammonia and
20 those type of processes. So we really expect that
21 that carbon capture technology will work at that
22 system when it is up and running.

23 There are a number of new sort of leading
24 the edge advanced technologies under development. A
25 whole bunch of them, as you see here. This is a chart

1 from DOE NETL.

2 We've looked at a number of these ourselves.
3 We think that there are quite a few of them that do
4 hold some promise. The ones most that are most
5 promising to us are the advanced solvents, physical
6 and chemical solvents, solid sorbents, the biomass
7 cofiring to carbonate fuel cells we just heard about
8 from FuelCell Energy, and some of the chemical looping
9 technologies.

10 All these technologies, of course, will take
11 some time to develop and get into the marketplace.

12 RTI has been working a number of years in
13 this area. We have some very innovative solutions
14 ourselves. Looking at carbon capture from industrial
15 sources such as fossil fuel power, cement, chemical
16 facilities.

17 We've focused primarily on a couple of
18 areas. Non-aqueous solvents and solid sorbents, but
19 we've also done some work in the space of chemical
20 looping systems, membranes and hybrid systems.

21 We're showing some real progress on those
22 systems, with the potentials to reduce that
23 regeneration energy penalty by as much as 50 percent
24 against monoethanolamine. Reduce the overall cost of
25 electricity when you're doing carbon capture by 10 to

1 12 percent compared to DOE baseline studies. And
2 reduce the CAPEX for that carbon capture block also by
3 as much as half.

4 You can see here on the chart, for example,
5 this is the KS-1 Amine System for the PetroNova
6 project. This is standard monoethanolamines. This is
7 the kind of regeneration penalty we're seeing for the
8 non-aqueous solvents that we're looking at.

9 This work has been done in partnership with
10 the U.S. Department of Energy, but we've also worked
11 with a number of other government agencies. Some of
12 them outside the U.S., such as the Emissions Reduction
13 in Alberta, Gassnova in Norway, and the Masdar
14 institute in the Middle East, and also with a number
15 of industrial clients.

16 The solid sorbent project process is for
17 flue gas, the post-combustion one. It's based on an
18 immobilized polyethyleneimine in a nanoporous material
19 in the fluidizable position. That one has shown
20 already potential for a greater than 25 percent
21 reduction in the cost of CO2 capture with potential of
22 as much as 40 percent cost reduction.

23 It has about a 40 percent energy reduction
24 on that regeneration energy versus the standard
25 monoethanolamines, a high CO2 loading capacity of

1 about ten weight percent, a relatively low heat
2 absorption.

3 One of the problems in a lot of the
4 conventional solvents is their aqueous based which
5 means when you're trying to take something out of a
6 flue gas not only are you capturing the CO₂, but
7 you're capturing quite a bit of water moisture from
8 that a well. Which then when you go to the
9 regeneration step and you have to boil that water back
10 out, that's a pretty heavy heat load that you have.

11 This is a four-year cooperative effort
12 between RTI, Masdar, and Department of Energy. This
13 developed it to the pilot scale and we've been testing
14 now in Norway through this year on bench scale and
15 small pilot scale systems.

16 The status of it is it's ready to go to a
17 larger pilot scale with potential for
18 commercialization in the 2020 to 2025 time frame.

19 This shows the unit that was done for
20 testing at the NORCEM's Brevik cement plant in Norway.
21 That testing was done last year. Most of it's
22 completed. A little bit of it's going on and
23 following it up this year.

24 In the phase two it has shown the kind of
25 potential that we saw, were hoping to see for the

1 materials.

2 We've also looked at pre-combustion in terms
3 of sorbent systems and have developed one that works
4 at 400 degrees centigrade for capturing carbon dioxide
5 from syngas. This one's not as developed as the one I
6 just showed you with the post-combustion sorbent, but
7 it does handle the high temperatures. Experimental
8 work to date on bench scale systems, small pilots have
9 shown the technical feasibility of the process.

10 The one that we have, perhaps that I'm most
11 excited about, is the non-aqueous solvent system that
12 I mentioned. Because they're non-aqueous, it gets
13 around that issue of the water absorption that I
14 mentioned. They also reduce the energy penalties as
15 much as 50 percent against monoethanolamine.

16 Keep in mind, the KS-1 is about a 20 percent
17 reduction that's out there. There's a Hitachi H31 I
18 think it's called, that's about 30 percent reduction.
19 This is about a potential 50 percent reduction. So
20 it's really pretty exciting. It also reduces the cost
21 of electricity associated with the capture and reduces
22 the carbon, the capital cost significantly.

23 This system is now in pilot stage of testing
24 at SINTEF in Norway. It's a really good cooperation
25 between RTI and Linde and SINTEF, and with the two

1 government agencies, the U.S. and Norway governments
2 working together to move this forward and accelerate
3 the technology development.

4 This shows the unit in Norway that's being
5 tested, the large-scale system that has the ability,
6 we believe, to duplicate and give us a good indication
7 of commercial performance. Part of it's to compare
8 and benchmark it against standard amine systems in
9 this unit and in our system.

10 If I had to report the work to date,
11 testing's been completed on the monoethanolamine
12 system that showed really good comparisons against the
13 reported commercial regeneration heat loads for the
14 system, which gives us a good indication that what we
15 see from our system will also be indicative of
16 commercial performance.

17 And those initial results are very
18 encouraging. We're seeing the kind of suspected or
19 projected reductions that we were hoping to see, the
20 40-50 percent reduction in energy reboiler duty
21 against the amine systems.

22 The next step of this will be to actually do
23 a large pilot scale pre-commercial unit in the one to
24 ten megawatt scale. Right now we're looking at that
25 potentially to be done at the Technology Center

1 Mongstad in Norway, but it might be at the National
2 Carbon Capture Center or other locations here in the
3 U.S.

4 This carbon capture system also has
5 potential for pre-combustion, particularly if it's
6 coupled with a warm gas cleanup system like we showed
7 at Tampa Electric for removing the sulfur out first.
8 And that's one advantage, is that technology enables
9 other systems that might not have been considered for
10 pre-combustion work to be considered now.

11 The advantage is it's both a chemical and a
12 physical solvent, so it has good performance at low
13 pressure for flue gasses, things like that, but as you
14 go up in the pressure for a gasification system, it
15 gives you enhanced potential capacity, almost about a
16 30 percent, 25 to 30 percent extra capacity at the
17 higher pressures that you might see for gasification.

18 I want to just briefly mention an actual
19 demo we did at Tampa Electric Company funded by the
20 Department of Energy that used an amine, activated
21 amine system coupled with a warm syngas cleanup
22 system.

23 That syngas work was done, finished in April
24 of last year. It's actually now available for
25 commercial license. It involved an innovative process

1 where you have a fuel transport loop system that takes
2 a sorbent around that takes the sorbent around, that
3 takes sulfur out at high temperatures up to 600
4 degrees centigrade, and you can couple that then with
5 back end carbon capture, technologies that you might
6 not have been able to do before.

7 This shows the actual demo site. It was a
8 50 megawatt demo, handled about two million standard
9 cubic feet per hour of syngas at Tampa Electric. The
10 warm sulfurization process and advanced water gas
11 shift process. It also worked on, and then this BASF
12 activated amine process.

13 What we showed was that the warm syngas
14 cleanup did a thousand to one reduction in the sulfur
15 straight through at the high temperature. We also
16 demonstrated that the water gas shift used about half
17 the steam that conventional systems have used. And
18 when coupled with the final back end carbon capture,
19 we saw another 100-fold reduction. So almost a
20 100,000-fold reduction in total sulfur across the
21 system.

22 This was a petcoke firing system, so coming
23 in at about 10,000 parts per million; going out at
24 something less than a quarter of a part per million.

25 The carbon capture system that was employed

1 there was this BASF activated amine system. It was
2 not possible to use this kind of system with pre-
3 combustion systems before because it's non-selective
4 relatively between sulfur and CO₂. But since we're
5 able to take the sulfur out at high temperatures ahead
6 of it, we could utilize this system for the carbon
7 capture.

8 The results of the carbon capture process
9 performed as expected. The carbon capture efficiency
10 was 99 percent, greater than 99 percent, and we
11 achieved the greater than 90 percent carbon capture
12 goal that we had.

13 The primary impurities in the CO₂ were low.
14 The biggest one was hydrogen, about one mole percent.
15 We saw trace levels of CO, hydrogen sulfite and COS.

16 The combination of those two systems does
17 provide carbon capture with a reduction in low life
18 cost of electricity. Overall IGCC CAPEX per kilowatt
19 and OPEX per megawatt hour, and a 75 reduction in
20 overall sulfur emissions versus a conventional dual-
21 stage Selexol type system.

22 And what we found is that this coupling of
23 the two, when you decouple the two, it enables the
24 overall process of cleanup and carbon capture to be
25 reduced, depending on the system, by as much as 50

1 percent in CAPEX, and as much as 50 percent in OPEX
2 across that whole block of the syngas clean-out.

3 Those two processes are actually both now
4 commercially licensable from Casale SA, if there's
5 interest.

6 When you look at the, you've captured the
7 carbon, what to do with it when it comes to the
8 storage or use of the carbon dioxide, safe storage is
9 still being proven. It has been demonstrated now in
10 several places. It does still face some legal and
11 regulatory risks that need to be addressed, and
12 various policy measures.

13 But there's some really good innovations in
14 CO2 utilization that may provide some new avenues for
15 beyond CO2 storage. I want to talk about those just
16 briefly.

17 These are all the things that captured CO2
18 could potentially be used for. The problem is, with
19 all these you're going up the energy curve from a low
20 energy state to a higher energy state, which takes
21 energy input to utilize that CO2. And about the only
22 conventional technology that's commercially using CO2
23 is the urea process, taking ammonia and CO2 to urea.
24 But all these have some potential if you had a way to
25 somehow lower the barrier or find another way to

1 offset that extra cost. And that's the approach we've
2 taken.

3 We've started looking at some avenues that
4 might offset that cost and still have a viable process
5 route.

6 We developed a novel catalyst that actually
7 extracts some oxygen off the CO₂ at very low,
8 relatively low temperatures compared to existing
9 technologies that were out there. It enables then,
10 opens you up for some avenues of oxidation reactions,
11 including things like dry methane reforming and
12 ethylene diethylene oxide, and that's the one that's
13 actually shown here, where you take ethylene
14 diethylene oxide, also produce carbon dioxide which is
15 also a very useful molecule in the industrial space.

16 When you look at how that works, how do you
17 make this viable? If you look at the process for the,
18 using this catalyst system for the oxidation of CO₂
19 and compare it against the conventional ethylene oxide
20 process. And to make the CO then you also need a
21 steam methane reforming system or something like it.

22 Where you start seeing the process
23 simplification is that one, you don't need the air
24 separation plant anymore because you're extracting the
25 oxygen off the CO₂. You eliminate the CO₂ emissions

1 from the ethylene oxide process, because you're now
2 going to recycle that back to your feed stock coming
3 into the process. You also eliminate the bulk of what
4 it requires in terms of steam ethylene reforming for
5 carbon monoxide formation.

6 So when you look at all the pieces of that
7 process that start going away you find that, a couple
8 of things. There's one other one that's a safety
9 thing. The ethylene oxide process has some explosive
10 potential because of high exotherm, but you're now
11 replacing that highly exothermic process with one
12 that's a moderate endotherm, so that helps on the
13 safety issue as well.

14 And overall, you find that in current
15 ethylene oxide processes, this does look like a viable
16 technology. And you also have the CO, carbon
17 monoxide, as a valuable intermediate. And it's able
18 to reduce a significant amount of CO₂, almost three
19 tons of CO₂ reduction per ton of ethylene oxide
20 product, and about a 350,000 ton per year ethylene
21 oxide plant to reduce CO₂ emissions by about a million
22 tons per year.

23 The other thing we like about this is that
24 it has a large volume of chemicals, so it can consume
25 some significant amounts of carbon dioxide.

1 Closing thoughts. Coal will continue as a
2 key feed stock for worldwide energy, but we believe
3 that there are drivers still to look at carbon
4 reduction from the use of coal. There are several
5 large-scale projects that are out there now
6 demonstrating that carbon capture can work. But to
7 keep it competitive, we believe the costs from those
8 technologies need to come down.

9 There are a number of advanced technologies
10 being developed. You heard about a couple of these
11 today. Some of the ones RTI is doing, FuelCell Energy
12 as well, that are being developed and look like they
13 have real good potential for bringing some of those
14 costs down.

15 The safe storage of CO2 is being proven, but
16 still faces, as I mentioned, some legal and regulatory
17 risks that need to be addressed through policy. And
18 some of the innovations in CO2 utilization offer some
19 very interesting technology and business options
20 beyond the CO2 storage.

21 With that, I'd like to acknowledge the RTI
22 Energy Technology team, the U.S. Department of Energy,
23 and the other project partners that we've had as we've
24 looked at this.

25 With that, I'll conclude and take any

1 questions.

2 MS. GELLICI: Thank you.

3 So when I first invited David to speak I
4 said what can you talk about? And he said well, I can
5 talk about this. I said oh, that sounds good. And he
6 said, and I could talk about this, too.

7 So we went on like that for about five, ten
8 minutes or so. So, obviously RTI's doing a lot in
9 terms of technology development so I think you get a
10 good sense. And that really is what we wanted to
11 convey as well. It's just incredible, the amount of
12 work and activity that's going on and this is just
13 representative of one company that's doing so.

14 Questions for David, please?

15 MR. BIBB: Bob Bibb, Bibb Engineers. Great
16 presentation, and overwhelming, as I think Janet was
17 alluding to. So the broad thing is, there's lots of
18 things happening and lots of different options and
19 lots of different approaches.

20 But underlying all that, this technology has
21 been marked by extremely high auxiliary power, high
22 cost. Aside from the process. Are some of these
23 providing a breakthrough in those areas?

24 MR. DENTON: Yes. In fact that's the
25 biggest thing we are addressing.

1 If you look at that pie chart I showed
2 earlier that showed about 56 percent of the cost of
3 carbon capture was from power. It's the auxiliary
4 power requirement you just mentioned that's involved.
5 About another third is from the capital reduction.

6 So with, for example, the non-aqueous
7 solvent I was talking about, that has the potential to
8 reduce both of those two pieces of the pie by about 50
9 percent. The regeneration of energy penalty coming
10 down about 50 percent. The capital cost about 50
11 percent. So that lowers the overall total cost of
12 carbon capture in the range of 40 to 50 percent. So,
13 to me, that's pretty significant, compared to where we
14 are today.

15 And the thing that I wanted to point out,
16 not so much our cost in this, but there are several
17 other areas of looking at this and there is some real
18 potential to start bringing that cost down pretty
19 dramatically.

20 MS. GELLICI: David can you, while there's a
21 question, while Hiranthie is making her way, you know,
22 we talked a lot about development in these
23 technologies, and then trying to get them to the
24 commercial stage. It sounds like, you know, some of
25 these are there. I wonder if you could just talk a

1 little bit about some of the challenges that you've
2 encountered in trying to get to that commercialized
3 stage.

4 MR. DENTON: Yes, it's definitely a
5 challenge. People have talked about the valley of
6 death, that, I think we heard that some earlier. That
7 to get these technologies from that idea stage into
8 commercial reality. There's quite a bit of cost
9 that's involved. There's time that's involved. You
10 have some really interesting things going on. RTI,
11 for example, a non-profit institute, so we don't have
12 a lot of deep pockets to fund that kind of thing going
13 forward, that's why the partnership with industry and
14 with private/public entities is really important for
15 us.

16 I think it is something important as you
17 think about the future of these technologies, how do
18 we get them into the marketplace? Because, you know,
19 we've got several now that are at the pilot stage
20 looking quite attractive. That next step, though, is
21 not a small step, to go up to a few megawatts and
22 demonstrate these things. And the investment that's
23 required is significant.

24 That's one of the reasons we've been
25 reaching out across a spectrum to a number of

1 companies. We've also looked outside of the U.S. to
2 Norway which does have some pretty interesting funding
3 mechanisms for this type of thing. We looked at
4 cooperation, in this case, between two governments --
5 the U.S. government and the Norwegian government -- to
6 help accelerate that.

7 So I think we'll need to look at creative
8 ways to move these things forward, but there is a real
9 issue, a real need.

10 You'd hate to see a promising technology die
11 on the vine just because there's not a mechanism to
12 move it to the next level.

13 MR. THOMPSON: David, great presentation.
14 And Janet, you kind of touched on my question topic,
15 so let me expand it a little differently.

16 My question was also on the valley of death.
17 I've been struck with how powerful the national Carbon
18 Capture Center and Mongstad together kind of help you
19 with, at least with respect to solvents move through
20 that valley of death because there's equipment that
21 can take you from TRL-1 all the way up to basically 7
22 or something, you know, just with those two things.

23 But, and it's amazing just how many solvents
24 have kind of moved through that system. But we don't
25 really have a similar thing, at least I'm not aware

1 of, that allows you to do that with say pressurized
2 oxy-combustion or other kinds of advanced systems.

3 If you were king and your word were law, how
4 could you create, what kind of similar mechanisms that
5 could de-bottleneck those movements from TRL-1 to 7,
6 much like Mongstad and CCC does, that we could apply
7 to these other areas of carbon capture or carbon
8 reduction through advanced power systems?

9 MR. DENTON: Good question.

10 I think the key that's made them work is the
11 fact that you have put a lot of infrastructure in
12 place that a lot of other companies don't have to
13 duplicate.

14 Otherwise, if you're doing each of these as
15 a one-off type of project, you're adding quite a bit
16 of additional investment to each of those situations.
17 But where you've already captured the flue gas or
18 syngas and have the piping there, you have the
19 infrastructure of the systems, you have the ability to
20 do something with CO2 potentially afterwards, that
21 starts nipping away at that cost, starts lowering that
22 cost threshold for it.

23 In terms of the systems you mentioned,
24 you're right. There's not a lot that exists there
25 yet. You would have to find an appropriate site that

1 had such a gas stream for the treatment and look at
2 doing something similar, putting in through some means
3 the kind of infrastructure that lowers those costs for
4 moving it forward.

5 MS. GELLICI: David, thank you very much.
6 We appreciate that presentation. I think a note to
7 self for me is to learn more about what's going on in
8 Norway. It sounds like some innovative things going
9 on there.

10 I'd like to conclude our industry
11 presentation session with a presentation by Jared
12 Moore, who is an independent energy consultant based
13 here in Washington, D.C. In his consulting practice,
14 Jared provides advisory services on technology and
15 policy related to decarbonization.

16 Jared invented and developed thermal
17 hydrogen, which he'll be speaking about today, and an
18 emissions-free energy economy that can be fueled
19 mostly by hydrocarbons without necessarily requiring
20 carbon capture. Kind of skipping that.

21 He's published in multiple peer review
22 journals. He is also a contributing author of a book
23 on variable renewable energy and the electricity grid.

24 He has a BS in mechanical engineering and a
25 PhD in engineering and public policy from Carnegie

1 Mellon University.

2 Would you please join me in welcoming Jared
3 Moore. Jared?

4 DR. MOORE: Thank you for the introduction,
5 Janet. Today I'm going to be introducing a vision for
6 economy-wide decarbonization that's fueled mostly by
7 hydrocarbons, but only 10 percent of the hydrocarbons
8 require CCS.

9 It is a hydrogen economy, but pure hydrogen
10 distribution is not required whatsoever.

11 Not surprisingly, the committee thought the
12 big challenge for this presentation was one, fitting
13 it in 25 minutes; and secondly, its relevance to the
14 coal industry, especially in the short term. So let
15 me just get that out of the way right now.

16 Coal I view as a solid hydrocarbon, and as
17 such, coal has three fundamental problems. It has a
18 portability problem; it has an efficiency problem; and
19 an emissions problem. That's versus the other fossil
20 fuels, too. So there's competition.

21 The three principal chemicals in this
22 pipeline system that I'm envisioning are syngas, O₂
23 and CO₂, Those would solve the three fundamental
24 problems of coal. So not only should coal have a
25 place under deep decarbonization; coal might be able

1 to thrive.

2 And furthermore, so for the short term, you
3 know, this isn't just a pipe dream. In the short
4 term, what I'm going to show you at the end and the
5 point of vision is to see where you're going, and then
6 know what the next step is tomorrow.

7 So my vision calls for increased
8 electrolysis, and I'll show you that even if coal-
9 fired power plants fuel with this electrolysis, it
10 would decrease system-wide emissions. So it's a
11 marginal gain in the short term, and it's a step
12 towards a vision in the long term.

13 Now before I get started I'd like to mention
14 one more thing, and this I'm sure you've heard before.
15 I need funding. So I'll just say this about that.
16 Andrew Carnegie said, pioneering don't pay. That's
17 what I'm doing. I still think it's worthwhile.

18 So I'll go ahead and get started.

19 Let's talk about the fundamental problem
20 we're looking to solve, the so-called planetary
21 emergency. And most people think the problem is the
22 creation of CO₂. It's not the creation of CO₂ per se.
23 It is the creation of CO₂ that is diluted with
24 nitrogen. It gets diluted with nitrogen because we
25 combust fossil fuels with air. Air is 80 percent

1 nitrogen, so the products are 80 percent nitrogen, at
2 least.

3 So this necessitates a gas separation
4 problem, also known as work; and that requires both
5 capital and efficiency. Those are two steps in the
6 wrong direction. So there isn't a question whether
7 CCS is technically feasible. You know, it's a
8 willingness to pay problem.

9 So this system on the right, that's post-
10 combustion carbon capture and sequestration; and the
11 system on the left is pre-combustion carbon capture
12 and sequestration. A gas separation problem, but it's
13 before combustion instead of after.

14 And here's a quote from, this is my roommate
15 in grad school. I owe much of what I know about CCS
16 to him, if not everything, and he described CCS as
17 being about gas separation either before combustion or
18 after.

19 So about, after I spoke to you guys last
20 time, and that was in November of 2015, I pretty much
21 made up my mind as an engineer that we needed a low
22 carbon liquid fuel in order to reach deep
23 decarbonization. So I was studying water separation,
24 hydrogen production, and I realized two things.

25 First of all, electrolysis is endothermic.

1 That's a minor point that will come into play later.
2 But the second point is, it creates pure oxygen. And
3 I was reading this report from General Atomics, and it
4 says something about selling the O₂, and I just
5 thought wait a minute.

6 That quote from my roommate went through my
7 head. And that is what thermal hydrogen is. Thermal
8 hydrogen is using the O₂ that comes off, the pure O₂
9 that is a result of water or CO₂ splitting. It is a
10 liquid, let's just say water/CO₂ splitting, and then a
11 combined pre-combustion process.

12 And it doesn't necessarily need to be full
13 oxidation. It can also be partial oxidation. In that
14 instance we have a new chemical energy carrier. It is
15 advantageous to do partial oxidation. So that's why
16 I'm showing that as well.

17 So this is the formal definition of thermal
18 hydrogen. This is what I came up with in December of
19 2015, and basically what I've been doing since then is
20 engineering an economy-wide system based upon this
21 principle.

22 So let's talk about economy-wide
23 decarbonization. It's not just electricity. There's
24 three different energy services and that's what I'm
25 showing here in italics. Electricity, transportation,

1 and heat.

2 To provide those three energy services, we
3 need three different energy suppliers. And I'm
4 showing this as renewables, nuclear, or hydrocarbons,
5 or as I like to think about it in my mind, mechanical
6 power, heat and chemicals.

7 And this is important, because at the
8 bottom, you know, we're going to, this is how this is
9 going to shape up throughout the presentation. The
10 bottom is chemicals. The middle across the way is
11 heat. And then the top is, you know, mechanical
12 electrical. It's not storable.

13 So in order to provide these services, we
14 need devices to convert the energy into usable energy.
15 And these devices I'm showing you, these are the major
16 capital requirements. And they all require capital
17 and energy. There are energy losses in every one of
18 these boxes.

19 So, you know, people think that the modern
20 grid can only be improved with the right price
21 signals, but there's a lot of improvement in our
22 modern economy. We burn, one-third of our energy
23 comes from oil. Oil is set by global demand. It's
24 going to be perpetually expensive compared to the
25 other fuels. We burn it inefficiently in internal

1 combustion engines.

2 Furthermore, we also have the redundancy
3 problem here, and after 120 years in the electricity
4 industry, we still haven't come up with a fundamental
5 mechanism for providing capacity.

6 Did you guys know that the NRG CO just
7 recently said to his own shareholders, our business
8 model is obsolete. I'm not quoting him verbatim, but
9 that's essentially what he said. He said I want to
10 reiterate my belief that the IPP model is now
11 obsolete. That's what he told his own shareholders in
12 prepared remarks. He blames low commodity prices.
13 That's going to be important later on.

14 So what people would like to do is basically
15 replace this turbine with a battery and then replace
16 all of this infrastructure with a battery as well.

17 I showed you guys this graph last time, and
18 this basically shows the problem with storing energy
19 with a battery. If you do it seasonally, you're only
20 using that battery a few times a year. If you did it
21 diurnally, it would be every day. So whenever you see
22 a storage payer they always choose the diurnal time
23 scale, of course. But on the seasonal time scale it
24 looks silly.

25 Today I'm adding two new services,

1 transportation demand and heating demand. And those
2 don't make the problem better, they make it worse.

3 So batteries aren't only just impractical
4 for long-term storage, they're impractical for
5 transportation.

6 What I'm showing you here is four different
7 conduit cord options, essentially, with increasing
8 electrification. At the top here, this is just your
9 standard internal combustion engine. Extremely
10 inefficient. This is your Accord hybrid with
11 gasoline. This is a fuel cell using hydrogen. And
12 this is a plug-in hybrid. This is a story you would
13 expect, right? Increasing efficiency, increasing
14 efficiency.

15 But the end of the story is when we get
16 towards deep decarbonization. We actually provide
17 range with these batteries. And as I'm showing over
18 here, the Tesla Model S requires 90 kilowatt hours to
19 just go around 300 miles.

20 That battery at \$200 per kilowatt hour is
21 \$18,000. That's about a car by itself. And not only
22 that, that battery has an effect on efficiency. You
23 see that this pattern didn't hold. It should be right
24 over here, right? There's no excuse for the Tesla
25 Model S to be less efficient, other than its massive

1 battery, than the Honda Accord plug-in hybrid.

2 The Tesla is an all-aluminum car. It has
3 one of the most aerodynamic frontal areas in
4 automotive history. It costs, it starts at \$70,000.
5 But it weighs 750 pounds more, and it requires 30
6 percent more energy.

7 So whereas battery electric transportation
8 isn't as efficient as people say, hydrogen
9 transportation isn't as inefficient as people say.
10 You see, you notice that this has a battery. That's
11 because all fuel cells produce electricity. And it
12 just makes sense once we're producing electricity,
13 once we have an electric drive train, to just have a
14 small battery there. It's for regenerative braking
15 and assisting in acceleration.

16 So if efficiency is desired, what we can do
17 is increase the size of the battery. We don't need to
18 increase it very much. Just enough to provide 30
19 miles of range and the acceleration of the vehicle.
20 That require ten kilowatt hours. Ten kilowatt hours
21 would provide about 175 horsepower.

22 So at that point what we can do is have a
23 plug-in fuel cell hybrid. This would have a 10
24 kilowatt hour battery and about a 10 horsepower fuel
25 cell. So, the reason that fuel cell can be so small

1 is all it's doing is keeping the battery charged and
2 providing heat occasionally. So it's enabling
3 increased efficiency by reducing the weight of the
4 vehicle and not forcing the battery to produce heat.

5 So if you look at these two, they're the
6 same efficiency. So this idea that fuel cells are so
7 inefficient compared to battery electric
8 transportation; it's just not well thought out.

9 So coming back to our economy that we would
10 like to decarbonize, this is kind of as far as we've
11 gotten. We know we need batteries for transportation
12 to some extent. We know we need wind and solar,
13 nuclear. And we know we need CCS. We still haven't
14 come up with a mechanism for load following demand.

15 So because we're having such a problem with
16 low electricity prices, here's what I suggest.
17 Instead of trying to sell into that commodity market
18 and doing load following supply, why don't we start
19 buying from that market and do load following demand?

20 So basically what I'm suggesting is
21 reversing this arrow and turning this into an
22 electrolyzer. So what an electrolyzer is, from an
23 engineering economic perspective, pretty much the
24 opposite of what a natural gas combustion turbine is.

25 A natural gas combustion turbine, you buy a

1 chemical, you put it through a cheap device, and you
2 provide timely electricity. An electrolyzer buys
3 timely electricity, puts it through a cheap device,
4 and produces a chemical. But this chemical can
5 displace oil. So that's very important. Plus,
6 there's a side chemical: oxygen.

7 And you notice there's another big
8 difference here. When we provide load following
9 supply, nitrogen is involved in that process.
10 Nitrogen is not involved in this process. Oxygen is
11 created. So that means we have carbon abatement
12 instead of a carbon problem.

13 And you might be thinking all right, well
14 that sounds, I'll think about that later. You know, I
15 was pretty quick. But the thing is, you probably have
16 been thinking this whole time maybe that it doesn't
17 make sense to make hydrogen from electricity. There's
18 heat loss. I agree. But the thing is, you don't need
19 to create hydrogen from electricity. You can also do
20 heat-assisted electrolysis.

21 You know, this nuclear device here, it's got
22 to go through a turbine or it goes through an
23 electrolyzer. If it goes through a turbine it's
24 losing 50 percent of its heat. If it goes through an
25 electrolyzer it loses 25. But it can only supply

1 about half of it.

2 So half comes from electricity, half comes
3 from nuclear, and it's the same 25 coming out. Heat
4 assisted electrolysis.

5 So now you're saying well, it's not going to
6 be as efficient on the other end because when you use
7 hydrogen there is waste heat.

8 Well, the primary purposes of hydrogen is to
9 provide heat-related services directly. And
10 furthermore, it's to provide range. And lastly,
11 combine heat and power.

12 So what I would like to -- if you don't
13 remember anything else from my presentation today, I
14 want you to remember this. Not only do electrolyzers
15 provide oxygen for pre-combustion CCS, hydrogen is not
16 just a battery.

17 That's the way Elon Musk has described it.
18 He says hydrogen is stupid because it starts from an
19 electron, it goes towards a chemical, comes back to an
20 electron, and he even specifically said, "dump the
21 O2."

22 None of that ever happens in this economy.
23 It is a heat to heat exchange. That's why it's called
24 thermal hydrogen. Hydrogen, if it's a battery, it's a
25 battery for both electricity and heat. If you think

1 about its potential that way, it can be just as
2 efficient as a battery, if we have some heat
3 generation.

4 And of course one of the major points here
5 is to use that oxygen. And what I'd like to point out
6 here is that hydrocarbons, as far as I know, can't get
7 any more efficient than burning pure oxygen. If we
8 use oxygen for complete combustion, it can create pure
9 CO₂. The CO₂ goes directly into the turbine, also
10 known as the Allen cycle, and it is 65 percent
11 efficient if it doesn't have to provide its own air
12 separation. You know, what's going to be more
13 efficient than that?

14 In auto thermal reforming, it's called auto
15 thermal reforming because it doesn't have waste heat.

16 So not only does oxygen engage the CCS
17 process, but it also improves the efficiency of
18 hydrocarbons.

19 So now that we have produced pure CO₂ coming
20 out of both of these processes, we don't necessarily
21 need CCS, but I think CCS is very useful, so I'm going
22 to later show you how to use the nitrogen from CCS.
23 But for right now I'm going to save that for the
24 distribution section.

25 So this is what thermal hydrogen is overall.

1 This is what's on my business card on the back. So if
2 you guys -- sometimes I've presented this and people
3 will take a picture. So I just decided to put it on
4 the back of my business card. So if you'd like to
5 pick that up, please do.

6 But this is, you know, I've got a specialty
7 in thermodynamics. I don't know where the waste heat
8 is in this system, so I challenge any scientist to
9 come up with a system that has less waste heat. And
10 you might be able to do that, but I'd be really hard-
11 pressed if you could do it and be less capital
12 intensive. That's what I don't think can be done.

13 So, you know, this is quite technical, and
14 this is in the paper, by the way. Janet didn't
15 mention this, but this work has been peer reviewed by
16 the International Journal of Hydrogen Energy. I just
17 approved the proof on Saturday so it's going to be
18 public and accessible next week, or this week, as far
19 as I know. Next week at the latest. So this has been
20 peer reviewed.

21 So what I'm going to do since this is going
22 to be documented in public quite soon, I'm just going
23 to go through these results and show you guys the
24 highlights.

25 Now, this is a Sankey diagram of the entire

1 economy. And I'm just going to highlight three
2 important facts from it.

3 First of all, only 35 percent of electricity
4 used in this economy goes towards electrolysis. The
5 excess electricity on the grid is around 50 percent.
6 That's how much excess steel and copper we have out
7 there. That's the average capacity factor for all the
8 generators in the entire U.S. economy. So 35 percent
9 seems like a reasonable guess, or a very reasonable
10 estimate for what would be available out there.

11 And the other thing I want to show you is
12 that 80 percent of the hydrogen comes from
13 heat-related sources. From hydrocarbons, and then
14 heat-assisted electrolysis from the nuclear.

15 So it's not only coming largely from heat,
16 it's going largely to heat. This is combined heat and
17 power. This is just combustion. And this is
18 providing range. Lowering the heat loss through
19 rolling resistance friction. So that's what that's
20 for.

21 And also I should point out, there's just as
22 much dispatchable capacity in this economy as is
23 necessary for the current grid. So we could
24 accommodate a large amount of renewables in this
25 system.

1 So this is the cost estimate that I did for
2 the paper. The reason I had to do that previous
3 economy is because I needed to do the oxygen balance
4 to figure out how much hydrogen came from the
5 electrolysis side and then how much hydrogen came from
6 the autothermal reformer side.

7 As you would expect, the autothermal
8 reformer is much, much less expensive, and the
9 electrolyzer is a little more expensive. And these
10 are standard assumptions that I got from an NREL
11 Workshop last fall. And there's room for improvement
12 in these costs, especially if you use a ceramic
13 electrolyzer like I'm going to talk about in a second.

14 But I think that basically what I'd like to
15 impress upon you is that electrolysis is not
16 dominating the cost here. It's fossil fuels. That's
17 why, you know, this is the combined cost, the 30
18 percent electrolysis, 70 percent autothermal
19 reforming. And as you can see, the costs are spread,
20 and it's pretty low, around \$1.50. So that would
21 correspond to around \$1.50 per gallon as far as energy
22 is concerned for gasoline.

23 So let's go back to that chart I showed you
24 earlier with the, you know, very large battery, and
25 these are the cost assumptions given a sensitivity

1 analysis. And one of the features of having so many
2 different, you know, components to rely upon is if one
3 of them gets more expensive, it's not going to kill
4 the economics of the entire system. So there's
5 reliability through diversity. So that's why this
6 cone is so small.

7 So just, you know, I need to move quickly,
8 but this is the only, this in the only part in this
9 chart that doesn't require an extraordinarily large
10 battery, is emissions free, and has low fuel costs.

11 So this slide shows you how much energy is
12 required for a thermal hydrogen economy versus the
13 modern economy.

14 And this is what I just showed you, the
15 balanced economy. This is an economy dominated by
16 nuclear. This is an economy where nuclear is not
17 allowed. This is what I call the organic economy.
18 This is what I think will ultimately come to fruition.

19 The organic economy is basically, you know,
20 these are hydrogen economies. The organic economy
21 uses ammonia and syngas. And the reason it can be
22 just as efficient as those other economies is because
23 we're not having to compress so much hydrogen. And I
24 also think it will be more economic because hydrogen
25 compressors aren't free, obviously, and obviously it's

1 going to be very difficult to even get these.

2 A hydrogen gas station is a challenge.

3 Let's just put it that way.

4 So this is the vision for enabling hydrogen
5 energy carriers.

6 First of all, we electrolyze CO, so I'm
7 envisioning us electrolyzing CO₂, you know, in the
8 middle of the country and piping that towards the
9 autothermal reformer which would be near the city
10 center. That gets turned into hydrogen through the
11 water gas shift reaction which is a sub-reaction in
12 the autothermal reformer.

13 So this autothermal reformer creates pure
14 hydrogen, and the calculation I did for the paper was
15 that it would only require about 70 gigawatts of CCS;
16 the nitrogen from 70 gigawatts, to turn all
17 combustible hydrogen into ammonia. It's because CCS
18 is so productive at producing nitrogen and ammonia
19 only needs one N per three hydrogen atoms.

20 So that can, you know, ammonia is basically
21 envisioned to replace natural gas. To replace
22 gasoline, we're not going to let autothermal reforming
23 go all the way. We're going to only use about half
24 the oxygen, and that's going to create syngas,
25 basically.

1 The advantage of syngas is if you just put
2 it through a catalyst it could be turned into
3 methanol. Methanol is a liquid at standard
4 temperature and pressure. So then it can be
5 transported exactly like gasoline and even better, it
6 can be blended in gasoline. So it kind of helps to
7 solve the chicken and egg problem.

8 So you're saying okay, what do you do with
9 that carbon? Well, it's going to come back to that
10 thing I said earlier about this being a nitrogen
11 dilution problem.

12 The tank is filled with methanol. The
13 methanol is turned into syngas using waste heat off
14 the solid oxide fuel cell.

15 The solid oxide fuel cell, what's unique
16 about a solid oxide fuel cell is that it's an
17 additional air separation unit. Oxygen crosses the
18 electrolyzer, not hydrogen. So when oxygen crosses
19 the electrolyzer, what's created is carbonated water.

20 So without nitrogen dilution, this is going
21 to be a very small product compared to the exhaust
22 coming out of your car. Not only is it twice as
23 efficient, it's missing 80 percent of the product.

24 So this is carbonated water, and I envision
25 this just filling up the other side of the gas tank,

1 and then when the methanol tank drops off its fuel,
2 picking up that carbonated water and bringing it back
3 to the autothermal reformer for sequestration.

4 So the advantage of this is not only have we
5 eliminated the hydrogen distribution problem and we've
6 decreased our need for oxygen, which decreases our
7 need for water splitting, we've also created water.

8 And so if we use enough syngas in solid
9 oxide fuel cells, the entire energy economy could be a
10 net producer of water. But it depends. It depends on
11 how much water shale gas requires, and it depends how
12 much water cooling of the power plants requires. But
13 it's possible. It's a step in the right direction.

14 So finally, the point of doing all of this
15 visioning was to show you the immediate steps. So
16 what I've done here is I've moved the existing
17 infrastructure out of the way. This is what we use
18 for transportation. These are all legacy plants, I'm
19 just putting them over here. Here's what we now we
20 want, wind and solar batteries. We're kind of unsure.
21 At least there is not enough public support for
22 anything else.

23 And so the first step here, because
24 electricity is so cheap and we've got an over-supply,
25 is to start an electrolyzer. So that would create

1 some hydrogen, but the key here is to use the oxygen.
2 The oxygen would allow most of the fuel to come from
3 natural gas. So that's how it can be less carbon
4 intensive as an overall process, even if coal is what
5 produces this.

6 So even though coal produces some of this,
7 most of the energy is coming from natural gas, and
8 then it's used twice as efficiently as an internal
9 combustion engine. So that's how it can have lower
10 emissions.

11 So our immediate goal is to displace oil,
12 and then our medium term goal is to get off the
13 internal combustion engine. And here's what, I need
14 to mention this to you guys.

15 The methanol can be mixed with gasoline up
16 to 30 percent, and actually the automakers are asking
17 for it because it increases the octane rating on the
18 fuel which allows a higher compression ratio which
19 allows higher efficiency.

20 And another great thing about solid oxide
21 fuel cells is they can reform any hydrocarbon.

22 So people that had a solid oxide fuel cell
23 car would not have to worry about a range problem,
24 because they could use gasoline. And by the way,
25 Nissan has already developed a solid oxide fuel cell

1 vehicle, and I should have mentioned this earlier, it
2 has a 25 kilowatt hour battery and it has a 7
3 horsepower fuel cell. And it's for a minivan.

4 So that's our immediate goals. These are
5 our immediate goals. And eventually we decide what
6 power plants to retire and then what power plants to
7 add CCS to.

8 And then, you know, around 2045, let's say,
9 high temperature nuclear reactors come on-line so then
10 we can do this heat-assisted electrolysis process.
11 Then once all those pipelines are in place, we can
12 decarbonize combustion.

13 And then in the end, you know, eventually,
14 you know, 2075, when I'm 90 hopefully, all of the
15 existing infrastructure will be gone and we'll have
16 this economy. And you know, one more thing, this
17 economy doesn't consume oil. All of the CO2 that's
18 produced can go to EOR.

19 Rick Perry called for a dominant energy
20 vision. How could you get any more dominant than not
21 using fuel and exporting all of your fuel, and then
22 taking CO2 and adding more to that. I don't know how
23 you could have a more dominant energy vision.

24 So in conclusion, this is an emissions-free,
25 oil and water producing economy fueled mostly by

1 hydrocarbons. These are the most efficient
2 hydrocarbon pathways possible. It's the most
3 efficient and direct route for nuclear.

4 It's the highest utilization of electricity,
5 and I'm saying that because these are ceramic
6 electrolyzers. They don't require precious metals.
7 So that could allow the largest opportunity to buy
8 electricity because these electrolyzers can take on a
9 low utilization problem.

10 These are the lightest weight, fully
11 electric vehicles possible. The demand following
12 options -- and I guess I forgot to mention why I named
13 it demand-following, but that's because everything in
14 the economy has an option. Anything capital intensive
15 has an option to follow demand. And, you know, if I
16 had more time I'd explain to you why gas storage isn't
17 required, but essentially what is possible is to store
18 ammonia and methanol seasonally. We don't even need
19 to store gas seasonally.

20 Lower distribution cost, because we've
21 minimized the need for copper. There's no purer H₂
22 distribution. And we're looking for an edge in
23 manufacturing. Well, I think these pipelines would
24 probably pay for themselves. Syngas being
25 ubiquitously available for cheap, along with oxygen

1 and CO2, you know, what better advantage could a
2 manufacturing industry have than living in the Saudi
3 Arabia of everything and using energy the most
4 efficient way possible?

5 So finally, I can't quantify this, but
6 supply and options are always good, and I think this
7 economy provides all of those. So with that, thank
8 you for, you know, trying to listen to all that
9 complex technical knowledge, and I look forward to
10 your feedback. Thank you.

11 MS. GELLICI: Thank you.

12 So I can only imagine what your grammar
13 school volcano science project looked like.

14 (Laughter.)

15 MS. GELLICI: Wow. Okay, is anybody brave
16 enough to ask a question?

17 We have another engineer asking.

18 MR. SCHOENFIELD: Thanks, Jared. It was
19 very interesting. It's going to take a while for me
20 to wrap my head around your end vision, but I have a
21 question about one of the intermediate steps.

22 You talked about the blending methanol with
23 gasoline. Is methanol as hydrophilic as ethanol is?
24 And have you thought through what the impact would be
25 on existing, especially small engines: lawn mowers,

1 outboards, generators, refrigeration systems, things
2 like that.

3 DR. MOORE: It's a real simple answer. No.
4 (Laughter.)

5 DR. MOORE: One of the words I don't know
6 what you're talking about, so apparently my volcano
7 project wasn't that impressive.

8 You know, my roommate from grad school, Kyle
9 Baurget, he now works in Ann Arbor in the liquid fuels
10 department. And I'm the one, I asked him about
11 methanol being blended in gasoline, and he said
12 they're working on it, or looking at it. And 30
13 percent would be the upper goal.

14 So that's basically all I can tell you, as
15 far as I know about how that would affect the fuel
16 stream.

17 MR. ALI: Sy Ali with Clean Energy
18 Consulting.

19 You use quite a bit of SOFC. Do you have
20 any experience at all with SOFC? Practical
21 experience? Or just the assumptions?

22 DR. MOORE: I'll defer to Tony for that
23 question.

24 MR. LEO: Yes. I mentioned that we're
25 developing SOFC for power generation with support from

1 DOE fossil energy.

2 We're also looking at SOFC as an
3 electrolysis platform with support from EERE, as well
4 as reversible for energy storage. So we've
5 demonstrated very, very high hydrogen production
6 densities and very, very high efficiencies. And as
7 Jared indicated, you can get such high efficiencies
8 that unless you dump heat into the system, you're
9 literally more than 100 percent electrical efficiency,
10 but you have to make up that difference in heat. So
11 that's where the application of the waste heat. So
12 we've shown all that.

13 MS. GELLICI: Other questions?

14 MS. JENKINS: I wanted to say thank you, Dr.
15 Moore, for your presentation. It sounds extremely
16 interesting.

17 I'm trying to visualize some of the products
18 that you can produce. Say this technology, you get
19 the funding you need, can you list off some of the
20 products? It sounds like we've got a new form of
21 energy that can do a whole lot of, provide a whole lot
22 of different services to humanity and maybe goods.
23 Can you just sort of name off some of the products, or
24 in the future what we could use this technology for,
25 outside of having an emissions-free vehicle?

1 MS. GELLICI: Could you identify yourself
2 please?

3 MS. JENKINS: Oh I'm sorry. I'm Bev Jenkins
4 with e-Commerce Consultation International.

5 DR. MOORE: The syngas economy, there are
6 many industrial processes that use syngas, and so that
7 would give them an advantage.

8 There's several processes that also use
9 oxygen, pure oxygen.

10 For instance, there's a new novel steel-
11 making process that uses pure oxygen and hydrogen. So
12 if we were looking to bring back steel, that would be
13 a way to increase efficiency quite dramatically.

14 I mean, there's a lot of processes out there
15 that use pure oxygen. And I can't name any off the
16 top of my head, but of course also everybody in this
17 room knows that CO2 could have a lot of different
18 commodities as well. So I know the pipeline system is
19 going to be very bold and big, and it's a big ask.
20 But, you know, so is the electricity system, and we,
21 we don't make decisions based on cost/benefit analysis
22 that are major.

23 Granger Morgan, the department head of
24 Engineering Public Policy, when he goes to theory, a
25 policy analysis class, the first class, he challenge

1 the students, have you ever, have we ever made a huge
2 decision as a country with a cost/benefit analysis?
3 And no student can come up with the answer to that
4 question. So we didn't do that with electricity.

5 So you know, this is a vision. And I guess
6 I should just say that. Thanks for the question.

7 MS. GELLICI: Anyone else at this point?

8 Wonderful. Please join me in thanking
9 Jared.

10 And maybe one more thing, if you could just,
11 what's the name of the journal that the article's
12 appearing in?

13 DR. MOORE: International Journal of
14 Hydrogen Energy.

15 MS. GELLICI: Great. Thank you again.
16 Thanks.

17 To all of our panelists, I'd like to offer
18 up another round of applause and thank our group of
19 folks here today.

20 I'd invite all of the gentlemen on stage to
21 take a seat in the audience. We're going to move into
22 council business for a few minutes here.

23 As we're getting resettled, I did want to
24 take a moment to thank Hiranthie Stanford who is our
25 Director of Meetings. Please joint me in

1 acknowledging her. Thank you so much.

2 As many of you know, this meeting was
3 supposed to take place in March, last month, and we,
4 despite having the mildest winter I know of on record,
5 the one day we have any snow was the day we were
6 supposed to have the meeting. So we got to do
7 everything twice. So it was a challenge, and
8 Hiranthie, thank you. You did an exceptional job.
9 Thank you.

10 We did have a record number of attendees
11 register for this, so thank you all for attending. We
12 do operate with just two full-time staff, so we're
13 pretty busy when it comes to hosting our biennial
14 meetings. So again, we appreciate your being here for
15 round two.

16 The final portion of our program this
17 morning will focus briefly on a few business reports.
18 I'd like to begin by introducing NCC's Finance
19 Committee Chair and our NCC Vice-Chair, Greg Workman.
20 Greg will provide us with an update on NCC's financial
21 status. Greg?

22 MR. WORKMAN: Thank you, Janet.

23 As always, I'd like to acknowledge and thank
24 the many members of the National Coal Council Finance
25 Committee. The committee's membership has increased

1 greatly during the past year, and we appreciate the
2 contributions, time and effort from all the committee
3 members. There's a list of members in your packets.
4 Thank you, Finance Committee members for your help in
5 managing the NCC's finances.

6 I'd particularly like to thank Dan Roling,
7 who will be assuming the role of NCC Finance Chair
8 immediately following this meeting. It's been my
9 pleasure to have served as NCC Finance Chair for a
10 number of years now, and it's with equal pleasure that
11 I relinquish this role to Dan. So thank you, Dan.

12 In each of my reports for the past few years
13 I've noted that we've been on a three-year mission to
14 right our financial ship in the midst of turbulent
15 seas and raging storms. I'm pleased to report today
16 that following five years of negative year-end income
17 balances, we finished the year of 2016 in the black.

18 (Applause.)

19 MR. WORKMAN: Hooray.

20 Based on our current budget, we are also
21 projecting a positive return for 2017. Our success
22 has been based on reducing expenses, closely
23 monitoring our costs, as well as increasing our
24 membership.

25 Membership now stands at over 140 members,

1 and an increasing number are now paying members of
2 National Coal Council.

3 Financial vigilance must continue, of
4 course. As a reminder, the NCC does not receive any
5 federal funding or financial support from the
6 Department of Energy. Our operations are funded
7 solely by membership dues and sponsorship support.

8 I'd also point out that our dues are
9 voluntary, and that some of our members elect not to
10 pay their dues or are unable to do so. In the past,
11 more than 20 percent of our members have not paid
12 dues. We expect that to be about 18 percent this
13 year. So the number of non-paying members is
14 decreasing, but not significantly. This obviously
15 poses additional burdens on our finances that we need
16 to take into consideration every year.

17 We continue to struggle with achieving our
18 meeting sponsorship support goals in light of industry
19 challenges, so please consider supporting NCC with a
20 meeting sponsorship for the fall, fall event of 2017
21 in Birmingham.

22 In your packets, you will find an
23 acknowledgment of those NCC members who have
24 contributed financially to the council this year,
25 along with a list of in-kind supporters. On behalf of

1 the NCC leadership, I'd like to thank those of you who
2 have paid your dues, sponsored this spring NCC
3 meeting, and provided in-kind support.

4 I'd especially like to acknowledge members
5 of the Chair's Leadership Council who provide
6 additional financial and leadership support to the NC.
7 I'm going to specifically name Tom Alley with EPRI;
8 Kipp Coddington, University of Wyoming; Mike Durham
9 with Soap Creek Energy; Sheila Glesmann with ADA
10 Carbon Solutions; Danny Gray with Charah; Dennis
11 James, North American Coal; John Kennedy with Dynegey;
12 Deck Slone with Arch Coal; Mike Sorenson, Tri-State;
13 Scott Teel, Southern Company; Kemal Williamson,
14 Peabody. So thank you one and all.

15 As always I would be happy to address
16 questions about NCC's financial status following
17 today's meeting. Please feel free to contact me by
18 phone or email. Janet has my contact information.
19 She also has Dan's contact information as well.

20 So Janet, that concludes my finance report.

21 MS. GELLICI: Thank you, Greg. I appreciate
22 your many years of service as Finance Chair. We
23 greatly appreciate it.

24 I'd now like to invite Deck Slone to provide
25 us with an update on NCC's Coal Policy Committee

1 activity. Deck is serving as Chair of NCC's Coal
2 Policy Committee. Deck?

3 MR. SLONE: Thank you, Janet. Good morning,
4 everyone.

5 Since we published the CO2 Building Blocks
6 Study back in August we've been spending a lot of
7 time, the council's been spending a lot of time in
8 committee on determining where we go next. And so
9 what's the most constructive direction, what sort of
10 work flow should we be envisioning, what sort of
11 topics and issues.

12 So we started a process where Janet sent out
13 a note to, I think to the entire membership soliciting
14 ideas, thoughts from the entire membership back in the
15 fall. We got some really good input, so thanks to all
16 of you who participated and provided input there.

17 And then things changed November 8th,
18 obviously. So we had a significant event here
19 nationally on November 8th. And so post-election, as
20 we began to think about how priorities might be
21 changing at DOE based on kind of what we thought we
22 knew about where this new administration would be
23 going, we reached out to a broad swath of the
24 membership, about 40 to 45 folks, and asked the same
25 questions. In light of this new filter, how do we

1 think about the direction for work going forward?

2 And again, it was a good representation of
3 folks and got good input there.

4 The Carbon Subcommittee met in January and
5 wrestled with this, had a good, robust discussion on
6 this front. The Leadership Council has discussed it.
7 The Executive Committee has discussed it twice. So
8 we've really been wrestling with this idea of where do
9 we go next, and what would be most constructive?

10 We had a great dialogue.

11 I guess we would, the input that we've
12 received we translate into sort of two basic themes.
13 The first one might seem self-evident. I'm not sure
14 that it really is.

15 But the first point is that we need to play
16 a more active role in supporting DOE's objectives.
17 And again, maybe that's clear that what we should be
18 doing, but getting that alignment is really important.
19 And the world has changed, and we do have a new
20 administration so we need to be mindful of that and
21 we're starting that process of engaging very closely
22 as witness this meeting.

23 Then we decided that we had five really,
24 five priorities that we would focus on and these are
25 broad subject areas. Energy security and

1 independence; economic and job growth; infrastructure
2 development; balance of trade and exports; and
3 regulatory reform.

4 I think you can hear even in those areas
5 this idea that things are evolving and we're trying to
6 be more responsive to what we think the new
7 administration, the direction the new administration
8 is taking and where we can be most constructive in
9 helping them and assisting.

10 The Leadership Council met this morning with
11 a group of Department of Energy and National Energy
12 Technology Laboratory leadership, some of them still
13 here. So thanks to all of you for a great discussion.
14 And we started this process of trying to figure out
15 okay, where do we take that? Where do we take those
16 topics?

17 I think there was good alignment, there was
18 good exchange there. So we're going to be working on
19 sort of what we learned today and the coming back to
20 them, and as we continue to see DOE sort of build out
21 the team and Secretary Perry lay out his vision, we'll
22 continue to refine some of these ideas.

23 I would lay out for you five specific
24 priorities that we've identified we think can bear
25 some fruit. We're looking at the following.

1 And first is initiatives to preserve and
2 rejuvenate the existing coal fleet. That really is
3 coming to the fore again and again as sort of probably
4 the single most important priority for the committee.

5 And that really is an issue of, look, we've
6 seen a great rationalization of the fleets from 2011
7 when we had 315 gigawatts. We could, by the end of
8 this decade, have 80 gigawatts less of coal fired
9 capacity, so we really need to make sure that the
10 existing fleet is still doing what it does well, which
11 is provide tremendous value to the country in all
12 sorts of ways. So that would be a top priority.

13 But additionally, looking at initiatives to
14 advance new markets for coal. Initiatives to jump-
15 start first of a kind advanced coal plants and
16 technologies. Initiatives to advance export markets
17 for coal and provide support for export
18 infrastructure, and initiatives to support America's
19 industrial and manufacturing sector in a whole range
20 of ways.

21 And so again, those are the areas that we're
22 looking at and we're going to continue to wrestle
23 with. We're going to be reaching back out to the
24 group without a question. But figuring out how we do
25 that. Is it through white papers that we can provide

1 to DOE? Is it additional direct exchange and
2 interaction? But all this work is ongoing.

3 Again, I appreciate everybody's input and
4 we'll look forward to a continuing discussion on these
5 fronts.

6 MS. GELLICI: Thank you, Deck. Appreciate
7 your leadership of the Coal Policy Committee and
8 appreciate your report today.

9 I'd now like to invite Lisa Bradley, Chair
10 of the NCC Communications Committee to provide us with
11 a brief report on NCC Communications Committee
12 Activities. Lisa?

13 DR. BRADLEY: Thank you, Janet.

14 What the Communications Committee does is
15 help to roll out the reports. So we have the report
16 in September, and we had help with developing fact
17 sheets for the report, for getting that out into
18 social media and the print media. And I think we were
19 very successful with that effort this year.

20 But that came out in August, and there were
21 other things going on so we didn't get as much
22 interest and web hits as we normally would get with
23 our other report.

24 But that was very successful, and Janet, we
25 have to thank Janet and her team of people who helped

1 us to write the fact sheets.

2 Janet also does the newsletters. We have
3 the web site, which has been updated in the last
4 couple of years and is a great resource for
5 information that we have.

6 And we're on social media, LinkedIn,
7 Facebook, and Twitter accounts, and that's where we're
8 talking. The Communications Committee meeting was
9 very well attended. We had a very lively discussion
10 about what our objectives are for communications, who
11 are our audience, et cetera, and how can we use social
12 media more effectively?

13 So we decided to move ahead. We would
14 develop a communications plan, and we have a
15 subcommittee that is going to work on that plan and
16 then bring it back to the full communications
17 committee.

18 So some of you have talked to me about being
19 on that plan. If all of you could email Janet so we
20 just know, I have everyone's title information and
21 we'll have a conference call soon. And hopefully at
22 the next meeting we can report back to you with our
23 progress.

24 MS. GELLICI: Thank you very much, Lisa.
25 Appreciate it.

1 We had about 40 folks at the committee
2 meeting yesterday, so it was great attendance and
3 great participation.

4 We have just a couple of governance issues
5 to quickly take care of before we adjourn.

6 First we have a few proposed changes to the
7 NCC's Articles of Incorporation and Bylaws.

8 Yesterday the NCC Executive Committee
9 approved the following changes to the NCC's Articles
10 of Incorporation.

11 First, we are revising the caption to
12 reflect that the articles are amended and restated in
13 April of 2017, and removed the reference to the
14 Virginia Code in the introduction, because of a change
15 in statute there.

16 And then the second, more I think
17 substantive change proposed, was the removal of the
18 prohibition on the use of proxy voting. These
19 proposed changes were sent to all NCC members of
20 record at least ten days ago.

21 The issue on the proxy, I would mention, you
22 know, as we are producing more white papers and
23 reports for the Secretary on a more regular basis,
24 people can attend meetings or web casts. So we'd like
25 to provide you with an opportunity to actually be able

1 to record your vote in this way if you're not able to
2 participate.

3 I would like to entertain a motion from the
4 floor to approve the noted changes to the articles.
5 May I have a first please?

6 Dan Roling I have in as a first. Second?
7 Ram Narula. Thank you.

8 Any discussion or questions?

9 (No response.)

10 MS. GELLICI: All in favor?

11 (Chorus of ayes.)

12 MS. GELLICI: Are there any opposed?

13 (No response.)

14 MS. GELLICI: Is anyone abstaining from
15 voting?

16 (No response.)

17 MS. GELLICI: I see total approval.

18 Thank you very much.

19 Again, two substantive changes are proposed
20 for the NCC's Bylaws. Article 1, again, removing the
21 prohibition on use of proxy voting. And adding the
22 ability of members to appoint the Chair of the NCC and
23 the NCC Executive Committee to vote with their proxy
24 according to written instructions.

25 And then the second change that we're

1 proposing is to revise the maximum number of members
2 that can serve on the NCC Executive Committee, so we
3 would be raising that number from 30 to 20. Not that
4 we would fill that out necessarily, but we have a
5 significant amount of interest from our members in
6 serving in leadership capacity. And so we'd like to
7 be able to accommodate that. I don't want to keep
8 coming back to you every meeting, asking for a one,
9 one, one increase.

10 So additional formatting changes were made
11 as well, and they're noted in the summary of the
12 Bylaws that were sent out the members and are in your
13 member packet.

14 I would like to entertain a motion right now
15 to approve the noted changes. If I can get a first
16 please?

17 I have Marty Irwin in the back. Thank you.

18 Second? Deck Slone. Thank you very much.

19 Any discussion or questions at this point?

20 All in favor?

21 (Chorus of ayes.)

22 MS. GELLICI: Any opposed?

23 (No response.)

24 MS. GELLICI: Anyone abstaining?

25 (No response.)

1 MS. GELLICI: Seeing none, the motion
2 passes. Thank you very much.

3 Our final business item to address is the
4 election of a Chair for the National Coal Council.
5 The NCC Executive Committee has put forth Greg
6 Workman, Director of Fuels with Dominion Energy to
7 serve as Chair of the National Coal Council.

8 Thank you for stepping up.

9 I would like to entertain a motion at this
10 point to approve the appointment of Greg Workman as
11 Chair of the NCC.

12 May I have a motion, please?

13 Jackie Bird. Thank you.

14 And a second?

15 Bob Bibb. Thank you very much.

16 Any discussion? Questions?

17 (No response.)

18 MS. GELLICI: All in favor?

19 (Chorus of ayes.)

20 MS. GELLICI: Anyone opposed?

21 (No response.)

22 MS. GELLICI: Anyone abstaining?

23 (No response.)

24 MS. GELLICI: Thank you. Motion passes.

25 Greg, thank you very much again, for

1 agreeing to serve and we look forward to working with
2 you.

3 Now in compliance with FACA requirements for
4 this meeting, I'd like to note that this meeting is
5 duly authorized and publicized and is open to the
6 public. The public can submit comments to the
7 Department of Energy, or if any individual wishes to
8 speak, they may do so at this meeting.

9 Those who wish to speak may do so at this
10 time.

11 Does any member of the public wish to speak
12 at this time?

13 (No response.)

14 MS. GELLICI: All right.

15 I'd like to thank our meeting sponsors, most
16 especially Soap Creek Energy, who is our event
17 sponsor. Also thank you to Tri-State Generation and
18 Transmission, Occidental Petroleum, Charah, ADAES,
19 Dominion Energy, Ferreira Construction, Headwaters,
20 and Savage Companies for your sponsorship support of
21 this meeting.

22 As Greg mentioned, these meetings would not
23 be possible without that additional financial support.
24 So thank you very much for that.

25 A shout-out to a few people. I want to

1 thank Jeff Miller who is handling our videography;
2 Dave Scholnick, who is handling some of our AV needs.

3 I also wanted to thank the folks that put
4 the program together today. David Denton, Ellen
5 Ewart, Jerry Oliver and Connie Senior.

6 And then finally I'd like to thank four
7 ladies in waiting, as I call them. There are four
8 women who are awaiting official appointment as it were
9 by the Secretary, but last December just jumped right
10 in.

11 And each one of them took one of the studies
12 that we've done, the last four studies that we've done
13 for the Secretary, and summarized those. They took
14 the very substantive reports and kind of boiled them
15 down into six pages or so.

16 And then they organized all the findings and
17 recommendations by energy security, economic job
18 growth, infrastructure, the five points that Deck
19 mentioned. And so they spent a good portion of their
20 time and effort in December doing that, and those
21 materials we'll be using in our conversations with
22 DOE.

23 So I'd like to thank Katherine Dombrowski,
24 Susan Jackson, Kim Johnson, and Connie Senior. Would
25 you please join me in thanking those folks.

1 (Applause.)

2 MS. GELLICI: The next meeting of the
3 National Coal Council will be held on September 26th
4 and 27th in Birmingham, Alabama. We're grateful to
5 Scott Teel and the folks at Southern Company for
6 agreeing to host us on an optional tour of the
7 National Carbon Capture Center, so we'll be having our
8 meeting at the Ross Bridge Resort in Birmingham, and
9 then doing a tour of the NCCC.

10 At this point is there any other business to
11 bring before the council?

12 Seeing none, I thank you all again for
13 attending, and especially for the great attendance on
14 the repeat.

15 So sorry again for any inconvenience we
16 might have caused, but thank you again for being here.

17 We stand adjourned. Thank you for
18 attending, and safe travels home. Thank you. Cheers.

19 (Whereupon, at 12:06 p.m., the meeting in
20 the above-entitled matter adjourned.)

21 //

22 //

23 //

24 //

25 //

REPORTER'S CERTIFICATE

DOCKET NO.: N/A
CASE TITLE: Meeting of the National Coal Council
HEARING DATE: April 19, 2017
LOCATION: Alexandria, Virginia

I hereby certify that the proceedings and evidence are contained fully and accurately on the tapes and notes reported by me at the hearing in the above case before the U.S. Department of Energy, Office of Energy Efficiency & Renewable Energy.

Date: April 19, 2017



Evelyn Sobel
Official Reporter
Heritage Reporting Corporation
Suite 206
1220 L Street, N.W.
Washington, D.C. 20005-4018