

# TRANSCRIPT OF PROCEEDINGS

---

In the Matter of:                     )  
   )  
NATIONAL COAL COUNCIL                 )  
MEETING                                     )  
   )

Pages:       1 through 127  
Place:       Washington, D.C.  
Date:        September 12, 2019

---

## HERITAGE REPORTING CORPORATION

*Official Reporters*  
1220 L Street, N.W., Suite 206  
Washington, D.C. 20005-4018  
(202) 628-4888  
contracts@hrccourtreporters.com



PARTICIPANTS: (Cont'd.)

INDUSTRY PRESENTERS:

Developing & Commercializing Innovative Low Carbon Technologies:

HILLARY MOFFETT, Senior Director, Government Relations  
Low Carbon Ventures, LLC

The Economic Case for Power Plant Carbon Capture Retrofits: A Case Study on the San Juan Generating Station - New Mexico:

JASON B. SELCH, CEO, Enchant Energy, LLC

NATE DUCKETT, Mayor, City of Farmington, New Mexico

Non-Energy Uses for Coal:

DR. IAN REID, Principal Associate  
International Energy Agency, Clean Coal Centre

P R O C E E D I N G S

(8:30 a.m.)

1  
2  
3 MR. SARKUS: Good morning. We had an  
4 excellent dinner and speaker last night, and I know  
5 we're all eager to have a good meeting today. So I  
6 hereby call the fall 2019 meeting of the National Coal  
7 Council to order.

8 For 35 years, the National Coal Council has  
9 provided expert advice, counsel, and guidance on a  
10 broad range of coal-related policy issues, everything  
11 from technology to energy security. Representing the  
12 broad diversity of coal interests, the National Coal  
13 Council has always been counted on to provide solid,  
14 reliable, and balanced analyses and counsel. And  
15 because of that, you have earned the respect of the  
16 industry you represent and the policy makers you  
17 advise. You should be proud of your work. I know I'm  
18 proud to be associated with the Council.

19 Before we get started, I want to welcome  
20 National Energy Technology Laboratory, Brian Anderson,  
21 who will provide keynotes this morning, and National  
22 Mining Association and CEO, Hal Quinn, who will  
23 provide an industry keynote presentation. Thank you  
24 for joining us today.

25 Allison Mills, deputy director of the Office

1 of Secretarial Boards and Councils is also here this  
2 morning, as is Fadi Shahid, senior economist with the  
3 Energy Information Administration. Thank you both for  
4 being here today.

5 I also want to acknowledge some of our  
6 leaders in the Office of Fossil Energy and NETL who  
7 have joined us this morning: Angelos Kokkinos,  
8 associate deputy assistant director for Clean Coal and  
9 Carbon Management, is here today, as is Doug Metheny,  
10 who splits his time as senior policy advisor to  
11 Assistant Secretary Winberg and to Secretary Perry.

12 From NETL, I especially want to welcome  
13 Director Brian Anderson. Joe Giovi has served as the  
14 deputy designated federal officer or DDFO for about  
15 the last two years and has done a tremendous job.  
16 Thank you, Joe. And thanks to NCC Chair Danny Gray  
17 and Vice Chair Randy Atkins for stepping up to serve  
18 the council in their respective leadership roles. And  
19 Janet Gellici, who works tirelessly on behalf of the  
20 NCC, as well as Hiranthie Stanford and all the others  
21 who have served to help the council function so well.

22 I want to thank all of the members and  
23 perspective members of the NCC for your service. And  
24 finally, I'm pleased -- are there any members of the  
25 public? If there are, I'm pleased to extend a welcome

1 to you. I appreciate your interest in the topics that  
2 we will address today.

3 Before we move on, I wanted to call on NCC,  
4 Incorporated, Legal Counsel Fred Eames with Hunton  
5 Andrews Kurth to provide us with an important  
6 antitrust advisory that should be considered from the  
7 outset of our activities.

8 MR. EAMES: Thank you. As I'm sure you  
9 already know, meetings such as this involving  
10 competitors post antitrust risk. To assist the  
11 National Coal Council in both avoiding antitrust  
12 violations and preventing the appearance of a  
13 violation, we will abide by the following guidelines.

14 Do not in fact or appearance discuss or  
15 exchange information with actual or potential  
16 competitors regarding any of the following matters,  
17 either before, at, or after our National Coal Council-  
18 sponsored meeting or social gathering. Don't even  
19 joke about any of these topics. What you say in jest  
20 now may look very different on paper if you have to  
21 repeat the quote in a deposition.

22 The topics to avoid include prices, costs,  
23 margins, discounts, customers, and corporate plans.  
24 Unless the information is already public, don't talk  
25 about new products you plan to offer in the future.

1 Don't talk about products or services you plan to  
2 discontinue. Don't talk about the design, production,  
3 manufacture, distribution, or marketing of any  
4 products or services.

5 The U.S. Supreme Court has recognized that  
6 competitors can band together to attempt to influence  
7 legislative actions. Lower courts have extended this  
8 beyond legislation action to include efforts such as  
9 preparing joint presentations to influence other  
10 governmental agencies. This is called the Noerr  
11 Peddington Doctrine. Its bounds are somewhat  
12 uncertain and limited, however, and will not save you  
13 if you're fixing prices even in the context of this  
14 type of meeting.

15 If at any time you feel we've strayed from  
16 these guidelines, please interrupt the meeting. Thank  
17 you.

18 MR. SARKUS: Thank you, Fred.

19 This morning following Brian Anderson's  
20 keynote address and Hal Quinn's industry keynote,  
21 we'll get presentations on low-carbon technologies, a  
22 case study for retrofitting the San Juan Generating  
23 Station in New Mexico with carbon capture, and non-  
24 energy uses for coal.

25 Now, just a note. This meeting is being

1 held in accordance with the Federal Advisory Committee  
2 Act and the regulations that govern that act. A  
3 verbatim transcript of this meeting is being made.  
4 Therefore, it is important that you use the microphone  
5 when you wish to speak, and that you begin by stating  
6 your name and affiliation.

7 We will also have a public comment period at  
8 the end of the meeting to ensure that those not  
9 formally on the agenda are able to give their views.  
10 Having said that, I would like to welcome any guest  
11 from the public. I've already done that.

12 Council members have been provided with a  
13 copy of the agenda for today's meeting. I would  
14 appreciate having a motion for the adoption of the  
15 agenda. Moved and seconded. So thank you. The  
16 agenda is adopted.

17 So without further ado, let me hand the  
18 podium over to NCC Vice Chair Randy Atkins, who will  
19 introduce today's keynote speakers. Randy?

20 MR. ATKINS: Thank you, Tom. It gives me  
21 great pleasure this morning to introduce Brian  
22 Anderson. Brian is the director of the National  
23 Energy Technology Lab. As many of you know, the NETL  
24 is probably the nation's premiere research lab in the  
25 field of fossil energy.

1           Brian has been awarded the honor achievement  
2           award from the DOE for his role on the team that  
3           responded to the Deepwater Horizon oil spill. He's a  
4           recipient of the Presidential Early Career Award for  
5           Science and Engineering. Brian earned his  
6           undergraduate degree at WBU in chemical engineering,  
7           and then went on to receive both his master's and PhD  
8           at MIT.

9           It gives me great pleasure to introduce  
10          Brian, who is one of our nation's leaders in energy  
11          research. Thank you.

12                           (Applause.)

13          DR. ANDERSON: Randy, thank you, and I  
14          really thank the National Coal Council for this  
15          opportunity to speak a little bit about what we're  
16          trying to do at NETL in terms of moving technologies  
17          forward. These are necessary technologies for the  
18          pathway of the energy sector for not just the United  
19          States, but the globe.

20                         Just as a testimony to what we're trying to  
21          achieve at NETL, two weeks ago, we hosted our annual  
22          program review for carbon capture utilization and  
23          sequestration. And because we identify some  
24          crosscutting areas in the subsurface, we also included  
25          the oil and gas program.

1           This particular meeting in Pittsburgh had  
2           581 attendees from a dozen or so countries, and  
3           certainly across the United States, and was a week  
4           long I guess parting, in terms of technologies and the  
5           ways the technologies are moving forward.

6           At the end of that meeting, we had a  
7           bilateral with the country of Norway where they are  
8           leading efforts in the European Union for carbon  
9           sequestration. It is starting to become very clear  
10          internationally, and maybe even less so nationally,  
11          that the technology solutions for fossil energy  
12          electricity generation is not only necessary, but is  
13          imperative for the future of fossil energy globally.

14          Under the context of restrictions of CO<sub>2</sub>  
15          emissions and the context of the global marketplace  
16          for further deployment of energy across the planet, we  
17          cannot achieve these two goals of electrifying and  
18          providing low-cost energy to 7 billion, possibly soon  
19          to be 10 billion, people on the planet without fossil  
20          fuels in the mix. And if we put the restriction of  
21          carbon emissions along with that, we cannot achieve  
22          those two goals without the technologies that we're  
23          trying to advance at NETL.

24          And so I've been at NETL now 10 months as of  
25          yesterday, not that anybody is counting. But it's

1       amazing what I've learned about this organization and  
2       what I am excited about our future that I have been  
3       able to see since becoming director.

4                I want to highlight a couple of technologies  
5       here, even on the title slide, in that we're trying to  
6       advance technologies in gasification all the way from  
7       particle models up to large-scale gasifiers for one  
8       example of advanced energy systems that can help move  
9       technologies forward.

10               And then what you can't really see, on the  
11       right side, the one that's illuminated by some nice,  
12       pretty blue light, as we like to take pictures in the  
13       lab with blue lights, is our technology advances in  
14       developing single crystal sapphire fibers that are  
15       long enough to create fiberoptic cables for intense  
16       environments. And imagine using distributed  
17       temperature sensors using sapphire optical fibers in a  
18       boiler to better understand and characterize what our  
19       temperatures are within a coal boiler. And we have  
20       the record at NETL for the longest continuous single  
21       crystal sapphire fiber manufactured in the world for  
22       this technology.

23               I need to now find out how to advance the  
24       slides. Which button?

25               AUDIENCE MEMBER: The middle button.

1 DR. ANDERSON: No.

2 AUDIENCE MEMBER: All right. The on-off  
3 switch on the side.

4 DR. ANDERSON: That will do it. That tells  
5 you how long I talk when the title slide doesn't --

6 So according to our mission at NETL is to  
7 discover, integrate, and mature technologies to move  
8 them on to the market. So we're working on discovery  
9 technologies or discovery science, all the way through  
10 integrating scientific progress together into coherent  
11 systems and then trying to move them to market. And  
12 this is -- I don't want this to be lost on this  
13 audience or even the people at NETL because our job as  
14 a unique government-owned, government-operated  
15 laboratory among the 17 national labs is not only to  
16 work hand in hand with the Office of Fossil Energy in  
17 designing and developing the technology pathways for  
18 fossil energy, managing the program portfolio, and  
19 then integrating technologies together across the  
20 entire portfolio, and with what we do inhouse at NETL.

21 But ultimately, every technology pathway  
22 that we're developing is trying to get into the  
23 market, trying to get it into your hands so we can  
24 deploy it further. And so I always want to start with  
25 the context of that mission at NETL.

1           So we are part of the national laboratory  
2 system. I mentioned we're the only government-owned,  
3 government-operated laboratory, which means that we  
4 have a unique role among these 17.

5           And I appreciate your comments, Randy, about  
6 us being the renowned fossil energy laboratory, and we  
7 work hand in hand with our partners. But we do think  
8 we play a very unique role by our nature of our  
9 relationship working with fossil energy, and then  
10 trying to deploy the technologies.

11           And so as a snapshot, we have our three  
12 physical laboratories in Pittsburgh, Pennsylvania and  
13 Morgantown, West Virginia, and Albany, Oregon. But  
14 the key thing is that we are working hand in hand with  
15 project partners that number greater than 600 project  
16 partners across the country and across the globe on  
17 900 different projects, with a total value currently  
18 today of over \$6 billion and annually about a billion  
19 dollars of annual research expenditures, because we're  
20 all trying to push forward that mission of how we can  
21 develop the technologies that are necessary to ensure  
22 that dual challenge is met, deploying clean, low-cost  
23 energy to the 7 billion people on the planet, and the  
24 300 -- and soon to be 350 million -- people in the  
25 United States, and doing it in an environmentally

1 responsible manner.

2           And so it takes a village. It takes a great  
3 partnership to be developed between NETL and our  
4 project partners.

5           I keep hitting the wrong direction.

6           So at NETL, inhouse research, we divide up  
7 our technical skills into five technical skill sets  
8 called core competency areas, and we apply these  
9 across the program areas, not just in fossil energy  
10 and coal, oil, and natural gas, but support to other  
11 DOE program offices, including -- I will highlight --  
12 the Office of Energy Efficiency and Renewable Energy,  
13 the Office of Electricity, and the Cyber Security,  
14 Energy Security, and Emergency Response.

15           We're trying to take it upon ourselves to  
16 understand the entirety of the electricity system so  
17 that we can fully realize our potential to draw down  
18 costs, meet environmental challenges, and make sure  
19 that all of the technologies that are being deployed  
20 on the grid are integrating in the most efficient way  
21 possible. And we're seeing the effect of cycling on  
22 our power plants in the existing fleet, and we're  
23 seeing the effects on the grid of increased variable  
24 renewables and potential reliability issues.

25           And so we work in computational science and

1 engineering, everything from the molecular scale  
2 through large-scale simulation. We are home to the  
3 largest public super computer dedicated to fossil  
4 energy that is not in the private hands, in the  
5 private sector hands.

6 It is the 23rd -- well, actually now  
7 21st -- fastest super computer in the United States  
8 solely dedicated to fossil energy research.

9 We also have a vast effort in material  
10 science and how we can advance new materials, new  
11 alloys, and not just computationally, but all the way  
12 through our alloying and manufacturing facility in our  
13 Albany lab site. And the geologic and environmental  
14 systems area specific to the coal sector, we are  
15 trying to understand processes in the subsurface that  
16 occur when we sequester carbon dioxide, but also  
17 leverage our understanding of the subsurface that  
18 we're gaining from the oil and gas sector, the vast  
19 troves of exabytes of data that are coming from the  
20 oil and gas sector, of understanding the processes in  
21 the subsurface and how we can apply them to reduce  
22 risk in carbon sequestration.

23 And so we have an initiative, a new  
24 initiative in this space in machine learning and  
25 artificial intelligence that was highlighted by the

1 secretary just last Friday with the establishment of  
2 the Artificial Intelligence Technology Office within  
3 the Department of Energy and highlighting NETL's work  
4 in this space.

5 In energy conversion engineering, this a new  
6 processes, such as pressurized oxy combustion and  
7 chemical looping combustion, as well as advanced  
8 turbines that we have been working with industry to  
9 develop over the years. And then finally in systems  
10 engineering and analysis so we can understand the  
11 techno-economic context in which technologies are  
12 going to be developed, so we can find the appropriate  
13 technology pathways into the commercial space, as well  
14 as understanding the life cycle assessment footprint  
15 of these technologies.

16 And last and certainly not least is how we  
17 integrate projects through our program execution and  
18 integration core competency of how we understand what  
19 is going on in 900 different projects, and try to work  
20 hand in hand with the Office of Fossil Energy to push  
21 forward these technologies.

22 So if you want to see NETL in one slide,  
23 it's right here. Specific to new coal technologies  
24 that we're working with, with the Office of Fossil  
25 Energy, if you break down the categories according to

1 our congressional appropriations, in advanced energy  
2 systems, this is specifically how we can move forward  
3 new technologies for the existing fleet, as well as  
4 through the Coal FIRST program that Steve Winberg  
5 spoke to this group about in April, and how we can  
6 advance these technologies down the economic pathway  
7 into commercialization. And crosscutting research,  
8 this is where our materials work as well as  
9 computational work falls in, in step that many of you  
10 are familiar with, the super critical technologies for  
11 CO<sub>2</sub>, super critical CO<sub>2</sub> as advanced power cycle with  
12 higher efficiency than using steam.

13 And then a lot of effort in carbon capture  
14 utilization and sequestration. And I'll speak to some  
15 of the challenges on the next slide for that. And  
16 then certainly in transformational coal pile is how we  
17 can move technologies into the market.

18 So the evolving topics that we see in the  
19 coal sector from a research standpoint at NETL is how  
20 we can upgrade the existing fleet through retrofits  
21 and providing efficiency enhancements, reliability  
22 enhancements, and the ability to stave off the  
23 unplanned maintenance that might come with cycling,  
24 that follows on with the load following that we're  
25 increasingly seeing our existing fleet have to manage.

1           The second is advancing the next generation  
2 of power plants. And certainly our Coal FIRST program  
3 is the highlight of this, and I would be remiss to not  
4 say that, actually, if you want to hear about Coal  
5 FIRST, catch Angelos Kokkinos at a break. He would be  
6 more of an expert than I am.

7           However, we are really excited about this  
8 opportunity internally at NETL to get technologies  
9 into integrated systems that meet the Coal FIRST  
10 standards of flexible, innovative, resilient, small,  
11 and transformative.

12           The next area that I know that is of great  
13 interest, and I do have to give the thanks to the  
14 National Coal Council for the reports on new uses of  
15 coal, because this is an area of great interest to us  
16 to provide additional markets and value for our coal  
17 resource.

18           I am a chemical engineer by training and by  
19 nature, and it has always bothered me to take such a  
20 great, wonderful, complex molecule, set of molecules,  
21 that we have in our coals and in our oils and gases,  
22 and take them and destroy all of the exergy in them,  
23 all of the entropy to burn down into the lowest form  
24 of products.

25           So there we have a rich trove of complex

1 molecules that have a tremendous pathway into a higher  
2 value-added marketplace. And so for our economies,  
3 like in my home state of West Virginia and Kentucky  
4 and Pennsylvania and Wyoming and North Dakota and  
5 Montana, for those economies to have opportunities to  
6 provide value addition from those raw materials is  
7 tremendously exciting.

8 And so this is an area of great interest,  
9 great personal interest, to me because perhaps we  
10 cannot replace coal ton for ton, but maybe we can job  
11 for job through value addition, through advanced  
12 manufacturing techniques. And so this is a tremendous  
13 opportunity for future of economies of coal states and  
14 coal communities that I see.

15 The next big challenge is how we can reduce  
16 the cost of carbon capture. The 2015 report out of  
17 NETL showed that more than 63 percent of the cost of  
18 carbon capture and utilization was just simply in  
19 capturing the carbon, not in compression and in the  
20 long-term stewardship of a sequestered CO<sub>2</sub> molecule.

21 But if we can use all of the tools that are  
22 at our disposal -- and I'm showing here an advanced  
23 manufactured material for -- advanced packing material  
24 for carbon capture systems that can be designed  
25 straight from the computer, can then be 3D printed and

1 put as a packed bed that can increase the heat  
2 transfer out to the system, that can increase the mass  
3 transfer into the solvents or absorbents in some cases  
4 to make the carbon capture system more efficient. And  
5 I'll also speak to some of our working members.

6 And then last and certainly not least in the  
7 evolving topics in coal, is how we can reduce the  
8 water footprint, water consumption, fresh water  
9 consumption from our energy production writ large.  
10 This is increasingly becoming one of the tremendous  
11 interests in the U.S. and across the globe that the  
12 food, water, and energy nexus that we need to reduce  
13 our consumption of water.

14 So I'm going to fly through a bunch of  
15 interesting technologies, at least interesting to a  
16 techno geek like me that we're working on at the  
17 National Energy Technology Labs, specifically  
18 upgrading the existing fleet of focus areas, and how  
19 we can design and deploy new sensor technologies to  
20 understand the processes that are going on as well as  
21 be able to predict preventive maintenance,  
22 opportunities so that we can avoid unplanned shutdowns  
23 of our existing fleet.

24 And I've already highlighted a little bit  
25 the sapphire optical fiber opportunities in that

1 extreme environment to provide high resolution  
2 temperature management within a boiler. And so not  
3 only are we working inhouse, but our project partners  
4 like at Virginia Tech has moved this technology from a  
5 TRL-1 to a TRL-7 under our portfolio so that we can  
6 start to be able to deploy this distributed  
7 temperature sensor.

8 In the extreme materials example, we are  
9 leading an effort across multiple national labs in  
10 extreme materials. How we can start from computation  
11 and predictive modeling all the way through producing  
12 new materials that can withstand the extreme  
13 environments that we're seeing, not only the existing  
14 fleet, but in the potential future fleet for coal.  
15 And so we see a tremendous opportunity to be able to  
16 advance new materials into the market with this  
17 holistic approach for extreme materials.

18 When it comes to the next generation power  
19 plant, we're focusing on modular power plant  
20 technologies you see under the Coal FIRST, more toward  
21 that smaller end of the 50-megawatt or 100-megawatt  
22 size, and then how we can ensure stable power  
23 generation, but is also flexible and efficient even at  
24 extremely low turndown rates.

25 And one example project in our extramural

1 portfolio is not just an advancing new technologies,  
2 but then understanding how the supply chain can be  
3 built so these technologies can in fact go to market.

4 And so we have the project in the advanced ultra-  
5 super-critical technology program called the Comtest  
6 (phonetic) Project, where the industry partners are  
7 developing and modeling what the supply chain would  
8 look like, in order to not only be able to manufacture  
9 the components using advanced materials, but ensure  
10 that that supply chain is efficient and economical.

11 So we've already highlighted on Coal FIRST  
12 the flexible, innovative, resilient, small, and  
13 transformative power plants of the future. And this  
14 is certainly a highlight of the Office of Fossil  
15 Energy and something we see not only as an opportunity  
16 for market building in the United States, but a  
17 potential market across developing countries across  
18 the globe.

19 We have tremendous interest from  
20 international partners that we are seeing in this  
21 program as they are watching the United States develop  
22 these technologies, then potentially having our  
23 ability to export to existing world markets.

24 And then on that topic of pioneering new  
25 markets for coal, some of our focus areas specifically

1 are in converting coal into higher value materials,  
2 like I had mentioned, as well as evaluating the cost  
3 and performance of these coal-derived materials to  
4 their competitors on the market.

5 Some examples include carbon fibers as well  
6 as electronically conductive principal inks for the  
7 electronics manufacturing, as well as quantum dots.  
8 And in the carbon fiber area, I want to highlight that  
9 there are new technologies coming on the market for  
10 advanced manufacturing using composite materials.  
11 This was mentioned last night, the trend in D.C. of  
12 refinishing your cement floor in your garage. Well,  
13 this goes well beyond that.

14 We think of our aging infrastructure in the  
15 transportation sector across the United States. Even  
16 in Pennsylvania and West Virginia combined, there is  
17 about 12,000 bridges that need revitalization because  
18 of their age and their ability to bear weight.

19 Carbon fiber-reinforced plastic produces an  
20 opportunity to provide new bridge decking, new road  
21 decking, supports for bridge resurfacing with a  
22 material that is not conducive to corrosion, and also  
23 can be lighter than steel and even stronger.

24 Now, if we end up developing this market,  
25 we need the right raw materials to feed and create

1 those carbon fibers, and coal presents a tremendous  
2 opportunity for that value addition. So it's not just  
3 for our golf clubs and our bicycles.

4 In the area of rare earth, which certainly  
5 is of great attention nationally, internationally, and  
6 I'm certain in this room, internally at NETL we are  
7 developing great technology for the separation and  
8 identification of rare earths, everything from ash  
9 piles to coal refuse piles, as well as acid mine  
10 draining sludge. And our extramural partners like at  
11 the University of Kentucky and PSI and West Virginia  
12 University, are doing a tremendous job of advancing  
13 these technologies toward the commercialization.

14 Other areas in high-value products, I've  
15 already mentioned some of these, but also graphing-  
16 enhanced cement. And we can imagine this is also not  
17 only high value, but also high volume. And then one  
18 of our project performers is developing flame-  
19 resistant, lightweight roofing tiles potentially to  
20 replace asphalt tiles, and seeing tremendous  
21 opportunities in that space.

22 So then how can we reduce the cost of carbon  
23 capture? We need to hit \$30 per ton of CO<sub>2</sub> capture in  
24 order to make it economical. And we know that the 45Q  
25 presents a tremendous opportunity, and we're well

1 aware of the sunseting date and the constraints that  
2 that puts on the private sector.

3 Just this week, and today, as a matter of  
4 fact, in Chicago the Oil and Gas Climate Initiative is  
5 meeting and entertaining pitches from companies who  
6 are developing carbon capture and carbon sequestration  
7 and carbon utilization technologies to try to move  
8 them into the market. There is a tremendous interest,  
9 not just from the coal sector, but from oil and gas,  
10 in moving these technologies forward.

11 And so I would encourage the coal sector to  
12 work hand in hand with oil and gas and the chemical  
13 sector to keep moving these projects forward. One  
14 example that I would give of the interest of the  
15 private sector in oil and gas is the MOU that we  
16 signed earlier this year with Exxon Mobil. And I use  
17 the wrong word. It was not an MOU. It was a series  
18 of five different agreements plus an agreement for  
19 commercializing technology, including two CRADAs, two  
20 IP agreements, umbrella charter between the National  
21 Energy Technology Laboratory and the National  
22 Renewable Energy Laboratory, with Exxon Mobil.

23 It was a 10-year, \$100 million to take  
24 technologies for carbon capture utilization and  
25 storage and move them to scale and then to the market.

1       So they are in fact -- they being the oil and gas  
2       sector -- are in fact putting the money where their  
3       mouth is in terms of trying to develop these  
4       technologies hand in hand with the coal sector.  And  
5       so I see tremendous potential to move these forward.

6               And then I can't help but highlight some of  
7       our experts at NETL in developing new materials for  
8       carbon capture.  This example uses our super computer  
9       Jewel (phonetic) to screen over a million different  
10      combinations of polymers and molecular organic  
11      framework molecules to create a composite membrane for  
12      the separation of CO<sub>2</sub>.  And over screening these  
13      million different molecules, they identified two  
14      combinations that would dramatically decrease the cost  
15      of carbon capture down to about \$45 a ton from 55 at  
16      the initial start of the screening.

17             That advancement screened a million  
18      different combinations, but there is about a billion  
19      in total.  And so we're now incorporating artificial  
20      intelligence and machine learning techniques to  
21      understand the physical fundamentals of what made  
22      those two combinations stand out of the other -- the  
23      rest of that million.

24             So instead of screening another 999 million,  
25      we're able to understand and learn from the computer

1 with this vast amount of data how we can screen  
2 another million and make some more advances.

3 And then I've already highlighted a little  
4 bit in additive manufacturing how we can use all the  
5 tools at our disposal to significantly decrease the  
6 cost of carbon capture to make it commercial on its  
7 own and/or with 45Q.

8 And then our last area in reducing -- I'm  
9 probably running short on time. How much time do I  
10 have?

11 FEMALE VOICE: Ten minutes.

12 DR. ANDERSON: Oh, great. Okay. Well, I'll  
13 slow down even.

14 (Laughter.)

15 FEMALE VOICE: Take a breath.

16 DR. ANDERSON: Well, no. That's fine. No,  
17 I don't usually take a breath, so this will leave some  
18 time for questions potentially.

19 So in the area of reducing water, I've  
20 mentioned in the United States we have tremendous  
21 areas of water stress. And so if we can not only  
22 improve the efficiency of a power plant, if you know  
23 the first and second laws of thermodynamics, you know  
24 the more efficient you are, the more heat you're  
25 rejecting.

1           And so first, the efficiency helps in our  
2 water usage, but also the ability to provide hybrid  
3 cooling and even dry cooling at high efficiency are  
4 areas of tremendous interest, as well as water reuse  
5 and treatment.

6           We've made tremendous advances in the oil  
7 and gas sector for the treatment of flow-back in  
8 produced water in oil and gas. In the Appalachian  
9 Basin, in the origins of the shale gas revolution from  
10 2005 to about 2010, we're putting so much briny water  
11 into the systems and into water treatment plants that  
12 you could detect the total dissolved solids all the  
13 way from Morgantown to Pittsburgh up the Monongahala  
14 River, so much so that there were public water  
15 treatment systems that were already above their TDS  
16 level when they were at their intake of water  
17 treatment.

18           And so this presented a tremendous problem.

19           And so NETL and the industry worked together, the  
20 Marcellus Shell Coalition and others, to tackle that  
21 problem. And today, about 90 percent of the water,  
22 flow-back and produced water, that are in the  
23 Appalachian Basin is reused, treated and reused within  
24 the basin.

25           Because of the nature of the plan, it's a

1 little bit different, but when presented with a  
2 challenge like the dual challenge of how we're going  
3 to reduce -- how we're going to provide low-cost  
4 electricity, low-cost energy to the planet, but also  
5 reduce our carbon footprint, we are trying to step up  
6 and meet that challenge.

7           And I always go back to the Clean Air Act.  
8 When presented with the challenge where the enemy was  
9 SOx emissions and NOx emissions, then enemy was acid  
10 rain and smog. NETL and the industry stepped up to  
11 that challenge and cleaned up our emissions, and also  
12 particulates. I can't leave that out.

13           And so if the enemy today is global warming  
14 and CO<sub>2</sub>, then I think we can step up to that challenge.

15           And in this case, in water reduction, if the enemy is  
16 using too much of our fresh water resource, which is  
17 extremely valuable, we're going to find technology  
18 solutions to achieve that.

19           And so at NETL we mentioned in terms of our  
20 mission is to discover, integrate, and mature  
21 technologies to where we can hand them off to the  
22 industry and to the commercial space. This is  
23 presented in this chart.

24           I think the appropriate place for academia,  
25 the national labs, and industry to work on technology

1 development -- we have tremendous scientists and a  
2 tremendous cadre of ideas across academia, as well as  
3 in the private sector in research shops at the TRL  
4 level one. These ideas as they come to fruition, it  
5 is the Department of Energy, the Office of Fossil  
6 Energy's purview to take these ideas and to try to  
7 move them along the technology development pathway  
8 from discovery toward system integration and testing  
9 to demonstration.

10 But ultimately, we do a lot of analysis to  
11 identify that technology pathway and where it fits  
12 into the commercial sector, so that we know the  
13 appropriate portfolio that we would want to work on.  
14 Our appropriated budget is -- you know, we've seen a  
15 couple of years of good appropriations for fossil  
16 energy research and development. But it's not an  
17 unlimited source of funds. And so we have to make  
18 hard decisions on technology pathways, and we work  
19 hand in hand again with the Office of Fossil Energy  
20 and the rest of the Department of Energy, to clearly  
21 identify technology pathways through a set of  
22 strategic planning, strategic visioning, as well as a  
23 technology pathway development. And so we are all  
24 trying to point toward how we get these to market.

25 And so, of course, one tremendous example in

1 technologies that moved from TLR-1 of just solvents  
2 that absorb CO<sub>2</sub> all the way to full-scale commercial  
3 deployment at Petra Nova. This took about 25 years,  
4 which actually on the commercial development time  
5 scale isn't horrible.

6 And so this is a tremendous example of  
7 getting things into the market. However, one of the  
8 big areas of focus for us is shortening this time  
9 line. And we can do that through computation. We can  
10 do that through predictive modeling and an appropriate  
11 portfolio of deployment testing, pilot scale, and  
12 deployment. And this is absolutely our goal.

13 So I solicit your feedback on how we can  
14 better create this pathway from discovery into  
15 commercialization, because you in this room are on the  
16 forefront of moving technologies in the markets. And  
17 so I appreciate any feedback that we can get.

18 So certainly we don't do this alone. We  
19 have, as I mentioned, about 600 different partnerships  
20 and 900 different projects we're working on that span  
21 the entire sector of small, medium-sized business,  
22 large business, academia, the public and private  
23 sector, other government agencies. And so, you know,  
24 when I think of NETL, I think of the way that we can  
25 partner in many different ways.

1           And so we have an entire toolbox of how we  
2           can partner. I mentioned with Exxon Mobil we have a  
3           cooperative research and development agreement as well  
4           as intellectual property agreements. And cooperative  
5           research and development agreements are ones in which  
6           joint partners with a common vision for moving  
7           research and technology forward can work hand in hand,  
8           can work shoulder to shoulder, where under a CRADA  
9           agreement, researchers and external partners can come  
10          to NETL and work with our researchers, or vice versa.

11           And so I'll give Exxon Mobil as that model.

12          Just tomorrow we're having a workshop with them, on  
13          how their scientists working on the subsurface can  
14          work with ours and push forward advances in  
15          understanding subsurface processes through machine  
16          learning and artificial intelligence.

17           And so when we enter CRADAs, that's an  
18          opportunity for us to get our hands dirty hand in hand  
19          together and shoulder to shoulder in the laboratory  
20          and work together. Of course, many of you are  
21          familiar with the FOA process, the funding opportunity  
22          announcements, and grants and contracts and  
23          cooperative agreements, the way that we fund under the  
24          federal procurement. But that's what makes NETL  
25          unique, I think that we have those in our toolbox to be able

1 to enter cooperative agreements, where we provide  
2 federal funding to co-development technologies, as  
3 well as within our portfolio, the whole suite of  
4 partnerships through memoranda of understanding CRADAs  
5 to use our researchers to help move technologies  
6 forward hand in hand with you.

7 And so I really thank you for this  
8 opportunity to speak a little bit about a place that I  
9 love. I may have only spent 10 months there, but I've  
10 been a partner with NETL for over 15 years. And so  
11 I'm proud to be there at NETL.

12 So I did I leave any time for questions, or  
13 did I fill it up? All right. Thanks, Janet.

14 MS. GELLICI: -- the mic. So please join me  
15 in thanking Brian for his presentation.

16 (Applause.)

17 MS. GELLICI: Your enthusiasm and energy  
18 come through very strongly, so thank you so much.

19 Questions for Brian? I'll start while  
20 you're thinking.

21 The R in Coal FIRST, the resilience area,  
22 are there technologies there that you're looking at,  
23 or are there approaches? Can you talk about that  
24 activity?

25 DR. ANDERSON: Yes. So our systems

1 engineering and analysis group, as many of you may  
2 have seen, did a report on the bomb cyclone that was  
3 released last year. And so we from the top level are  
4 trying to identify and even define what resilience  
5 would mean, per our conversation last night with the  
6 chair of FERC.

7           So first we're starting at that top level of  
8 understanding markets and grids and how the energy is  
9 distributed, as well as the potential effects of  
10 retirements in the future. There are some  
11 opportunities that we're working on in terms of  
12 technologies that includes electricity and energy  
13 storage. We're also partnered with our two sister  
14 energy laboratories, the Idaho National Laboratory,  
15 our nuclear laboratory, and the National Renewable  
16 Energy Laboratory, NREL, on an effort that we're  
17 calling the tri-lab effort, specifically targeted at  
18 the interface of all of our electricity-generating  
19 capabilities on the grid, and how we can develop  
20 integrated systems that are even more resilient.

21           Now, certainly through the Coal FIRST we are  
22 pushing our partners to design within the boundaries  
23 of one plant the opportunity to be resilient, to  
24 also -- well, I guess to be more reliable and more  
25 flexible. But I guess those are our efforts on a top

1 level with the grid as a whole, as well as hybrid  
2 technologies at the interface of fossil, renewable,  
3 and nuclear.

4 MS. GELLICI: Thank you.

5 Questions? And if you'll state your name  
6 and affiliation.

7 MS. POTTER: Good morning. Ellie Potter,  
8 S&P Global. I wanted to see if you could -- if you're  
9 able to speak to this outline, a time line for when  
10 these Coal FIRST power plants may be commercialized,  
11 as well as carbon fibers and -- sorry -- carbon  
12 capture technology. Thank you.

13 DR. ANDERSON: Yes. So for the Coal FIRST,  
14 we're looking for the first Coal FIRST pilots in three  
15 years?

16 AUDIENCE MEMBER: Around 2025.

17 DR. ANDERSON: Around 2025, yeah, sorry,  
18 yeah, for the first -- for the pilot-scale  
19 demonstration of Coal FIRST around 2025.  
20 Incidentally, in terms of carbon capture technologies,  
21 we're looking for the next generation of carbon  
22 capture to be into the commercial sector also at 2025.  
23 And then finally, the further on next generation  
24 innovative carbon capture technologies in 2035. And  
25 so those are the time lines that we have set out, and

1       there are congressional time lines along with that,  
2       too.

3                   MS. GELLICI:  And one final question then  
4       I'll ask for your advice.  We get a number of calls  
5       into our office on a fairly regular basis from folks  
6       that have a good idea or a new idea, and it always  
7       amazes me that people, the entrepreneurs with  
8       different technologies, and there is a sense of  
9       frustration in how do we test these technologies,  
10      where can we go to get that done.

11                   Can you talk a little bit -- I know your  
12      prior life was at West Virginia University.  Are the  
13      universities an option?  You know, you've spoken a  
14      little bit about what is available at NETL.  But is  
15      there any advice you can offer to some of these folks  
16      who are working on these things?

17                   DR. ANDERSON:  So there is no one-stop shop.  
18      And I think that's what makes things often difficult.  
19      You know, I think that, you know, they can contact us  
20      at NETL, and we can point them in the right direction.  
21      If it's a carbon-capture technology, the National  
22      Carbon Capture Center and the Integrated Test Center  
23      are great opportunities in the United States, as well  
24      as, you know, some internationally for testing new  
25      technologies for carbon capture, as one example.

1                   And it depends on the scale. If it's bench  
2                   scale, many of the universities have the capabilities  
3                   in their laboratories. And so there is no one place.

4                   I offer NETL perhaps as a place we could point them  
5                   in the right direction, whether it's us or somebody  
6                   else.

7                   MS. GELLICI: I guess the good news is that  
8                   those ideas continue to flow. So thank you very much,  
9                   Brian. I appreciate all your efforts.

10                  DR. ANDERSON: Thank you, Janet.

11                  MS. GELLICI: Thank you.

12                  (Applause.)

13                  MR. ATKINS: Great. Thank you, Brian, for  
14                  your remarks. And I would also like to thank you for  
15                  your shout-out on coal to products. I would echo that  
16                  we have been one of the proud partners with NETL for  
17                  about the last year and a half on a CRADA, and I can  
18                  recommend NETL to anybody who is interested in the  
19                  research area.

20                  So at this point, it gives me great pleasure  
21                  to introduce my friend, Hal Quinn. Many of you  
22                  already know Hal. For many years Hal was the  
23                  president and CEO of the National Mining Association.

24                  In that role, he has touched virtually every  
25                  regulatory, legislative, or governmental aspect of the

1 U.S. mining industry, including coal, minerals,  
2 metals, agricultural minerals, equipment  
3 manufacturing, basically I think anything that comes  
4 out of the ground that you don't eat.

5 And I would like Hal to know that we are now  
6 working on using coal to perhaps come up with some  
7 forms of fertilizer. So you may get into the food  
8 business after all.

9 So before Hal held his position as the head  
10 of the National Mining Association, he basically held  
11 the roles of executive VP and counsel to the NMA. And  
12 before there was a NMA, he was the head of the  
13 National Coal Association. Hal serves on the  
14 International Energy Agency's coal advisory board, on  
15 the board of directors of the U.S. Energy Association,  
16 and the National Energy Foundation.

17 He's a member of the Society of Mining,  
18 Metallurgy and Exploration. Hal received his  
19 undergraduate degree at Denison, and his law degree  
20 from Wake Forest. Please welcome Hal Quinn, who is  
21 definitely a friend of coal.

22 (Applause.)

23 MR. QUINN: Good morning, members of the  
24 council and their guests. And, Randy, thank you for  
25 that invitation. Janet, thanks for the invitation.

1 Randy, I meant the introduction.

2           Actually, I was not the head of the National  
3 Coal Association. One of my mentors, General Richard  
4 Lawson, that many of you might remember, he was the  
5 last head of the Coal Association before we put the  
6 merger together. And I know he was a big fan, as I  
7 am, of the work of the Coal Council, and was often a  
8 guest in this group.

9           So when I was getting prepared for today, I  
10 thought it may be a little bit of a retrospective of,  
11 you know, where we've been as an industry, is in order  
12 so we can maybe assess what the future could look  
13 like. Brian, your remarks are ones that continue to  
14 provide me great optimism for our industry in knowing  
15 that we have the partners we have at DOE and the labs  
16 and so forth.

17           So when I first arrived, I guess as we would  
18 say, in the coal about 40 years ago, you know, the  
19 nation was grappling on how it was to position itself  
20 for the future, with an anticipated era of energy  
21 scarcity. Natural gas had basically been deemed a  
22 depleted resource in this country. Oil was subject to  
23 the whims of various cartels posing various  
24 geopolitical risks. Wind and solar at scale were  
25 probably still a glint in the eye of some dreamers.

1 And the anointed energy savers were essentially coal  
2 and nuclear.

3 They were viewed as virtually inexhaustible.

4 They were going to power the country. Coal was going  
5 to do double duty by providing us synthetic fuels and  
6 feedstock. But much has changed, as we know, today.  
7 We've really gone from a crisis of energy scarcity to  
8 an orgy of energy abundance, at least in my opinion.

9 The U.S. now, we're the top oil producer,  
10 producing so much natural gas we're either burning it  
11 off or paying people to take it off our hands. So in  
12 a lot of ways, we're really seeing the two faces of  
13 energy abundance.

14 Mae West was famously quoted as -- one  
15 saying is too much of something good can be just  
16 wonderful. Well, she was obviously speaking from the  
17 perspective of a consumer of good things, but if  
18 you're actually a producer of good things, abundance  
19 can be downright miserable.

20 You know, coal has been really served up as  
21 exhibit A for that particular metaphor. But I think  
22 we're now seeing the misery of energy abundance spread  
23 beyond coal. So oftentimes we'll see in the headlines  
24 is a spate of coal bankruptcies. But if you look  
25 below the fold, there is a surge of bankruptcies

1 arising in the oil and gas industry as it becomes  
2 somewhat of a victim of its own success. Even their  
3 lenders, their shareholders are calling for  
4 disciplining capital allocation, and clearly  
5 production at this point in time.

6 Well, to add to these woes, we can look at  
7 the demonization of fossil fuels in various quarters,  
8 including some aspiring presidential candidates. You  
9 know, one recently called fossil fuel production a  
10 criminal enterprise. Now, think about that. Eighty  
11 percent of the energy that has raised the standard of  
12 living in this country for over a century has been  
13 dubbed a criminal enterprise.

14 I suppose that's just a bizarre affirmation  
15 for that sardonic saying that no good deed ever goes  
16 unpunished. And we'll see how that proceeds.

17 But this is really in a lot of ways -- these  
18 are the market realities and the political dynamics,  
19 at least for the moment. And I will emphasize the  
20 word moment. Past predictions and forecasts have  
21 proven awfully consistent, off the mark, and more than  
22 occasionally.

23 So as we look ahead, I think we still  
24 confront some prospects here and challenges. And I  
25 think what really the questions that present in our

1 coal industry is really all about adaptation. And,  
2 you know, how do we cope? Is the coal industry able  
3 to adapt to cope with these confluence of events of  
4 producing this particular situation, and then how do  
5 we prepare ourselves for the future.

6 Now, as I look back, I mean, coal's story  
7 has always been about adaptation. Before electricity  
8 became coal's dominant market, it was really the  
9 industrial and transportation sectors that were the  
10 primary consumers of the product. For the better part  
11 of about 20 years, between 1950 and '70, coal  
12 consumption was running at or below half a billion  
13 tons annually. And coal's growth in the electricity  
14 sector at that time was really simply offsetting  
15 deterioration we were seeing in other markets.

16 You all know the story about coal since  
17 then. Electricity demand and its use has really  
18 been -- dominated coal's story since that time.  
19 Generation, coal generation, doubled over two decades,  
20 and at one time approached almost 60 percent of  
21 electricity generation in this country.

22 And here is something a lot of folks often  
23 forget about, is that, you know, when coal punched  
24 through the one billion-ton production mark, probably  
25 back in 1990, it stayed in that range for over a

1 quarter century. And it did so while all the while  
2 producing more with less. You know, sustaining that  
3 type of performance, producing 75 percent -- 60  
4 percent more coal from 75 percent fewer mines in my  
5 view is one of the most remarkable stories in the  
6 annals of industrial productivity that is often  
7 overlooked.

8           So now we face an entirely different  
9 situation, as you all know. Electricity generation  
10 hasn't grown in a decade, has never recovered to its  
11 pre-recession levels. Low growth means that new  
12 capacity additions are cannibalizing the incumbent  
13 resources. State policies have increasingly crowded  
14 out coal by setting aside market share for politically  
15 favored resources. And, frankly, competing resources  
16 have lowered their cost, while aggressive regulations  
17 and an aging fleet have really increased the going-  
18 forward costs for most coal plants in this country.

19           So I think all three observations about all  
20 that would be that market fundamentals matter, public  
21 policy can shape markets, but over the longer term,  
22 it's technology and innovation that is largely going  
23 to dictate participation in those markets.

24           So with that in mind, I think I'll just  
25 provide you some observations about maybe what is the

1 next chapter for coal. What opportunities may present  
2 themselves, and are we going to be able to adapt to  
3 seize them?

4 We'll start with electricity. As I see it,  
5 we neither wait for a black swan event in energy, in  
6 electricity, in the hopes that somehow reaffirms the  
7 inherent value of coal-based load to the grid. Or we  
8 can lean forward to advanced technologies that are  
9 positioned as to compete. And whatever anxieties --  
10 and they are much out there in terms of the current  
11 industry situation -- whatever they may be, they ought  
12 to serve as a motivator, and not as a fuel for fear of  
13 a technology or the solutions that are going to  
14 require us to change our business models.

15 Intuitively, as I see it at least, the  
16 more -- or as did dispatchable resources exit the  
17 market today, the more valuable the remaining ones  
18 will be tomorrow. Our new and existing -- as Brian  
19 mentioned, new and existing dispatchable resources  
20 will need to be more flexible to deliver their  
21 enhanced value to a cost effective power system,  
22 offering key attributes of optionability, reliability,  
23 and fuel security.

24 For new coal, I think that challenge will be  
25 commercializing technology to make coal plants a

1 better fit for the evolving grid profiles as we  
2 experience deeper penetration of variable resources.  
3 This means higher efficiencies, higher ramp rates,  
4 lower minimum loads, in short, stable power with  
5 operational flexibility, much of what Brian was  
6 describing to us just a moment ago.

7 Now, in the meantime, I think existing  
8 plants can enhance their value of life with steam  
9 cycle efficiency improvements, greater recycling of  
10 waste heat, and smart controls for optimal system  
11 performance during more frequent deep cycling.

12 And finally, I think we cannot ignore the  
13 demand, the growing demand, for lower carbon profiles  
14 on the grid. So the improvements we make with  
15 existing efficiency and flexibility, they'll pay near-  
16 term dividends with lower emissions, but at the same  
17 time, build a foundation for eventually pairing those  
18 plants with carbon mitigation technologies.

19 Technology is just one piece of the roadmap.  
20 We also need public policy and market reforms to  
21 support us throughout this journey. In some respects,  
22 the recent initiatives of the Trump administration  
23 provide some welcome relief from regulatory assaults  
24 of the recent past.

25 The repeal of the Clean Power Plant and the

1 proposed Matz finding that existing standards are  
2 sufficiently protective, should provide greater  
3 regulatory comfort about the prospects of more  
4 regulatory-induced costs that have contributed to the  
5 marginalization of coal plants.

6 Resource review reform, namely, replacing  
7 the annual emissions test with a narrowly emissions  
8 rate test, would finally remove the perverse  
9 longstanding and perverse regulatory barrier to  
10 deployment of the technologies that make plants more  
11 efficient and flexible.

12 On wholesale market design, if anything  
13 emerged from DOE's unsuccessful grid resilience  
14 pricing proposal, it was the big reveal that wholesale  
15 markets are not truly competitive at the classic sense  
16 at all. Modern state policies that initially intended  
17 to kickstart emerging variable resources are now  
18 becoming epidemic and infecting wholesale markets.  
19 They're proliferating in number and scope, and are  
20 spawning counter measures to really offset what the  
21 resources they were disadvantaging in the first place.

22 So all this spreading infection has forced  
23 FERC to assess the threat these policies pose to the  
24 integrity of market designs as well as grid  
25 resiliency. Depending -- PGM minimum offer price rule

1 is a good start in addressing the price suppression  
2 resulting from the rise of out-of-market support for  
3 selected resources.

4 So while we're on the topic of public  
5 support, perhaps the phaseout of the federal tax  
6 preferences for wind and solar provides an opportunity  
7 for a policy shift toward supporting dispatchable  
8 resources. The wind PTC has existed for almost four  
9 decades, and long after renewables have declared that  
10 they would reach grid parity with fossil fuel  
11 resources. The growing mismatch between what is  
12 exiting the market and what is entering the market in  
13 terms of dispatchable versus variable resources  
14 presents serious questions about the economic value of  
15 variable resources on the bulk power system,  
16 particularly at higher penetration levels.

17 Consider the following. A recent University  
18 of Chicago study concluded that customers in 29 states  
19 with an RES paid 11 percent more for electricity in  
20 the first seven years of that RES, and 17 percent  
21 after 12 years. And much of the increase of this cost  
22 can be attributed to the integrated costs variable  
23 resources impose on the whole generation system.

24 Now, even the International Energy Agency  
25 found that accounting for the values of

1 dispatchability, frequency response, and grid  
2 stabilization, coal electricity was cheaper than  
3 renewables, with the gap widening with increasing  
4 penetration of wind and solar.

5 But I suggest then that all this strongly  
6 suggests reweighing public policy support development  
7 and commercialization technologies for dispatchable  
8 resources. But I think these considerations also  
9 merit some attention in the state public utility  
10 commissions and bilateral markets, as they evaluate  
11 requests for plant closures and additions.

12 Plant owners in traditional regulated  
13 markets appear to have an incentive for retiring  
14 competitive plants prematurely, simply because they  
15 don't provide the levels of return that their  
16 shareholders now desire.

17 During an era of constant low growth, new  
18 capacity could be added without retiring prematurely  
19 existing assets. With little or no low growth, these  
20 utilities are now retiring prematurely existing  
21 capacity, just to make room for building something new  
22 in order to replenish their rate bases.

23 In short, the status quo forces some  
24 utilities to turn hostile toward very productive but  
25 highly depreciated plants. So for PUCs, as I see it,

1 with the responsibility of ensuring reliability and  
2 affordability, it would seem prudent for them to  
3 evaluate the all-in costs of these decisions, and  
4 these include particularly the integration costs for  
5 new variable resources, such as transmission, backup  
6 resources, increased balancing and ramping pressures  
7 on other resources, and of course, the stranded asset  
8 costs that will be incurred by their customers as  
9 well.

10 So we look at an increasingly important  
11 market outlet and replacement of revenue stream for  
12 coal in the seaborne market on exports. On one hand,  
13 our historically go-to market, Europe, is shrinking.  
14 However, there is a raging bull story going on in  
15 emerging markets, and particularly Asia.

16 Think about this. While the coal fleet in  
17 most of the developed world is approaching middle age,  
18 the emerging world fleet, especially in Asia, is  
19 barely a teenager. In six countries alone, more than  
20 1,300 gigawatts of coal capacity has an average age of  
21 only between 9 and 16 years. And these same countries  
22 have another 186 gigawatts under construction now, and  
23 another 200 gigawatts in earlier development.

24 So there is a great opportunity out there.  
25 But we also have to understand that seaborne markets

1 are pretty fickle, and a lot of other factors not  
2 under our control, such as currency rates, freight  
3 costs, and trade policies can contribute to the year  
4 over year volatility in that area.

5           Nevertheless, we as a country, the United  
6 States, has several advantages that can be leveraged  
7 to improve our competitive position. First off, we  
8 are blessed with three coasts. Unfortunately, we are  
9 only using two of them more fully -- or being fully  
10 utilized is only on two coasts.

11           Political opposition to building more West  
12 Coast terminal capacity prevents western U.S. coal  
13 from performing to its full potential in the growing  
14 Asia markets. But beyond just supporting the coal  
15 industry, increasing exports of responsibly-sourced  
16 coal from the U.S. also serves compelling geopolitical  
17 objectives as well.

18           Many of the destinations for western U.S.  
19 coal are allies with severe energy vulnerability,  
20 energy security vulnerabilities. If we cannot deliver  
21 what they want and what they need from us, surely our  
22 competitors, whose interests are not aligned with ours  
23 or the United States will surely fill that void.

24           There is another development happening  
25 because of this situation on the West Coast, and it

1 reaches beyond coal. This type of West Coast  
2 resistance is also getting attention of other  
3 industries and states, who fear that their products  
4 too will be politically targeted. And this is  
5 something our founding fathers found unacceptable when  
6 they placed the power over interstate and foreign  
7 commerce in the hands of the national government.

8 So the sooner -- in my view, the sooner that  
9 our federal government starts to weigh in on these  
10 state efforts to weaponize the geography for political  
11 purposes, the better off we all will be.

12 Now, our infrastructure is another area that  
13 needs some attention. It's sound, but it always  
14 requires continued maintenance to ensure a globally-  
15 competitive mine-to-market supply chain. This  
16 includes our inland waterways, our ports, so dredging  
17 ports that accommodate capesize vessels is important.

18 Walking dam maintenance to minimize congestion and  
19 reduce the number of restrictive movements will also  
20 improve our competitive position.

21 Clearly this will take money, and that's  
22 something we need to put our shoulders behind. But  
23 also I think there is opportunities here by fully  
24 leveraging the administration's one federal decision  
25 framework for major infrastructure projects, which

1 will expedite the review and approval of these types  
2 of activities.

3           Now, recall at the beginning I mentioned  
4 that prior to the era of energy scarcity in the early  
5 '70s, a large segment of our coal market was really an  
6 industrial sector. So perhaps this era of energy  
7 abundance presents a kind of back-to-the-future moment  
8 to develop a new industrial market. And this would be  
9 the advance carbon materials and products, including  
10 carbon fibers, graphite, graphene, and other precursor  
11 compounds, much of what Brian talked about. Randy is  
12 certainly very familiar in this area and breaking new  
13 ground with those opportunities.

14           You know, coal has long been recognized as a  
15 versatile feedstock, carbon feedstock. And it would  
16 appear that it would also possess a material price  
17 advantage at this time. With various coal costing \$15  
18 and \$55 a ton, this would provide a substantially  
19 lower cost feedstock as compared to petroleum at  
20 roughly \$400 a ton. And that's even before or even  
21 after adjusting for differences in carbon content.

22           And it may be as well that certain coals  
23 have superior qualities in the petroleum-based  
24 counterparts for these particular products, high-end  
25 products, that will be produced.

1           Now, I realize this potential market may not  
2 excite those who grew up in coal as a bulk and  
3 intermediate product for energy. But admittedly, the  
4 amount of coal required in this segment may not  
5 approach the volumes lost serving our electricity  
6 sector.

7           However, think about this. Coal prices  
8 today, on a constant inflation-adjusted basis, remain  
9 below where they were 70 years ago. And with the  
10 exception of a decade following the energy crisis in  
11 the '70s, prices have generally left producers with  
12 thin margins and chasing volumes. So participation in  
13 a value-added supply chain may provide a welcome price  
14 and margin breakout for those coal producers who are  
15 participating.

16           And perhaps this is an opportunity as well  
17 for coal to expand -- extend its legacy from powering  
18 their role to building it as well.

19           So I'll just close up by noting that I  
20 suspect some of my observations don't strike some of  
21 the answers that are particularly unique or new, and  
22 especially those of you have been engaged with the  
23 National Coal Council. The council has done some  
24 excellent work exploring the future opportunities for  
25 coal.

1           Janet, you and the members of the National  
2 Coal Council are to be commended for looking beyond  
3 the present and outlining the next chapter, potential  
4 chapter, for our industry.

5           And I also would note that the opportunities  
6 we discussed this morning to me also affirm the real  
7 value of the Department of Energy in driving  
8 innovation. It's so important to ensure that American  
9 deliver on its full energy potential. DOE and its  
10 labs, and the institutions it has partnered with over  
11 the years, have probably been involved in every  
12 important breakthrough technology-wise for energy  
13 resources, especially coal.

14           So that's another reason, as I said at the  
15 beginning, I continue to be very optimistic about  
16 coal's future. We have partners with a proven track  
17 record for delivering and game-changing results.

18           So with that, my thanks to all of you for  
19 your efforts to shape coal's next chapter, a mission I  
20 think continues to be vital for our nation's continued  
21 success, and I wish you my best wishes to you for all  
22 your future endeavors in that area. So thank you very  
23 much.

24           (Applause.)

25           MS. GELLICI: Thank you, Hal. I appreciate

1 that.

2 Are there any questions for Hal at this  
3 time?

4 Hal, thank you so much for the overview and  
5 for your thoughts about the future. One of the things  
6 that we hear a lot about is the demonization of coal  
7 and the public image. And I'm wondering if you see  
8 anything going forward that the industry might do to  
9 kind of change that perception of the industry. Are  
10 there things in your toolbox that you think we could  
11 make use of that would be helpful there?

12 Can we turn mic on, on that table, please?  
13 Thank you. There we go.

14 MR. QUINN: Well, thanks, Janet. I think  
15 you have to understand what we're up against in terms  
16 of the financial resources when it comes to public  
17 image. So you're looking at more than dozens and  
18 dozens of groups who are truly focused on one thing,  
19 which is demonizing fossil fuels, starting with coal,  
20 as you know. And so the approach is really -- you  
21 know, I see two approaches to how we -- not how we  
22 deal with coal, but how the people approach coal.

23 And as I testified recently at a hearing  
24 about that, when some of the Democratic members were  
25 expecting, you know, some kind of climate denial

1 witness from the mining industry, you know, my view is  
2 this. We can either -- we have two routes to go if  
3 you're really concerned about climate. And this has  
4 to do with also public image as well. You can either  
5 do the Michael Bloomberg approach, which is you put a  
6 lot of money to get symbolic victories by putting one  
7 particular industry out of business.

8 But you won't change anything in terms of  
9 the end result. Or you can do the Bill Gates'  
10 approach, which is all built on technology, being  
11 patient, and figuring out how you build that into the  
12 economic systems in a competitive manner.

13 Our public image, it's not all as bad as one  
14 might think. We did some recent polling and still  
15 shows still an amount of support for all of the above,  
16 also investing in existing coal plants. But there is  
17 a little bit of erosion there in terms of a number of  
18 people who think it's awfully important to preserve  
19 coal as an energy option.

20 MS. GELLICI: Any questions for Hal?

21 Let me acknowledge that Hal will be retiring  
22 as of the end of this year, and I wanted to take a  
23 moment to thank you for your tremendous service to  
24 this industry for many, many years. You will be  
25 greatly missed, and we greatly appreciate your support

1 and all of your leadership over the last years, Hal.

2 Please join me in thanking Hal for his  
3 service.

4 (Applause.)

5 MR. SARKUS: At this time, we're going to  
6 take a little break. Everyone can stretch their legs,  
7 get a drink, or use the restroom. Let's plan on  
8 meeting back here in 30 minutes so we can start back  
9 up again at 10:15.

10 (Whereupon, a brief recess was taken.)

11 MR. SARKUS: I hear the toll of the bell.

12 (Pause.)

13 MR. SARKUS: So, ladies and gentlemen, if  
14 you could please be settled, we'd like to get started.  
15 Thank you.

16 (Pause.)

17 MR. SARKUS: Now I ask that Ms. Janet  
18 Gellici please come up to announce the rest of the  
19 speakers. And thank you, Janet.

20 MS. GELLICI: Thank you, all. I appreciate  
21 your reconvening here. I wanted to thank Peabody for  
22 hosting our keynote session this morning, and I would  
23 like to thank Ramaco for hosting our industry  
24 presentation session.

25 Before we get started with the rest of our

1 program this morning, I'd like us to take a moment of  
2 remembrance for a couple of our friends who have  
3 recently passed. Those of you remember -- who have  
4 been long-terms members of the Council and remember  
5 Janos Beer, who was a member of the Council, a very  
6 longstanding member of the Council. Janos passed away  
7 in December of last year, and we haven't had a chance  
8 to honor and remember him.

9 Janos was a tremendous Renaissance man. He  
10 was a violinist, a humanitarian. He helped rescue  
11 many of the Jews in World War II out of Hungary. He  
12 was world-class rower and engineer, a fuel scientist.

13 And he ended his career at MIT.

14 Last week we lost Doug Carter. Many of you  
15 know that Doug was one of our lead authors on a report  
16 that we did in May of 2014. It was actually the first  
17 report that I had a chance to work on when I took over  
18 as CEO of the organization. Many of you know Doug  
19 from his time at the Department of Energy, EPA, and  
20 OMB. He was a tremendous technical person,  
21 consultant. He had the wonderful ability to take  
22 things that were very technical in nature and make  
23 them understandable. He was an extremely wonderful  
24 communicator, very witty, knowledgeable, a great  
25 writer, and a kind person.

1           So if you'll join me in just observing a  
2 moment of remembrance for these two friends.

3           (Pause.)

4           MS. GELLICI: Thank you. It's my honor to  
5 introduce Hilary Moffett, who is our senior director  
6 of government affairs in Washington, D.C. for  
7 Occidental Petroleum. Hillary's responsibilities  
8 include advancing the interests of Oxy and Oxy  
9 Chemical, which is a wholly-owned subsidiary of the  
10 company, working with policy and advocacy strategies  
11 here in Washington, D.C.

12           Prior to joining Occidental, she led the  
13 environmental strategies committee for the American  
14 Petroleum Institute, so she has a great basis in a lot  
15 of the energy industry. She has also served as  
16 majority counsel on the Senate Committee on  
17 Environment and Public Works. She is a native of  
18 Tulsa, Oklahoma and graduated from Washington  
19 University in St. Louis with a BA in international  
20 relations. She received her JD from the University of  
21 Oklahoma College of Law.

22           Would you please join me in welcoming Hilary  
23 Moffett. Hilary.

24           (Applause.)

25           MS. MOFFETT: Thanks, Janet.

1           Thanks, everyone, for the opportunity to  
2 speak here today about a company that's doing some  
3 really incredible work, and where we see opportunities  
4 for continued growth. As Janet said, I'm Hilary  
5 Moffett. I'm based here in the D.C. office, so I  
6 spend a lot of time talking to legislators and  
7 regulators about our industry and the kind of work  
8 that we're doing.

9           So I want to start the conversation today  
10 with a little bit about Occidental, and then I will  
11 move into more detail on the newly-formed Oxy low-  
12 carbon ventures, and some of the work that we're doing  
13 there with carbon capture technology.

14           So this is just a little bit about who we  
15 are now. Most people have never heard of Occidental  
16 because we're not consumer-facing. So we don't have  
17 gas stations. We don't have products on the shelf.  
18 Just recently, though, we acquired Anadarko Petroleum,  
19 and that makes us about the third largest oil and gas  
20 producer in the country. We're right around 1.3  
21 million barrel-of-oil equivalent per day.

22           The majority of our operations are and have  
23 always been in the Permian Basin. But this  
24 acquisition brought on assets in the Gulf of Mexico,  
25 Utah, Wyoming, and Colorado.

1           Internationally, we focus in the UAE, Oman,  
2           and Colombia in South America, with a global  
3           headquarters in Houston, Texas. As Janet mentioned,  
4           we also have a chemical subsidiary, OxyChem, where  
5           we're the leading manufacturer of chemicals that go in  
6           to make plastics, pharmaceuticals, and water  
7           treatment.

8           Our CEO, Vicki Hollub, believes that we need  
9           to address the issue of global climate change. We're  
10          proud at Occidental to be part of the Oil and Gas  
11          Climate Initiative, API's environmental partnership,  
12          and a number of other organizations aimed at reducing  
13          greenhouse gas emissions and utilizing best practices  
14          to decrease our footprint.

15          We believe that we have to take action today  
16          to reduce emissions on a global scale. And as part of  
17          that, just this year we announced our aspiration of  
18          becoming carbon neutral. Oxy is a unique company  
19          because we are actually the world's largest consumer  
20          of CO<sub>2</sub>. We have over 40 years' experience in  
21          separating, compressing, transporting, and injection  
22          CO<sub>2</sub> for enhanced oil recovery.

23          Right now, we inject about 2.6 billion cubic  
24          feet of CO<sub>2</sub> each day from naturally-occurring  
25          anthropogenic and recycled sources of CO<sub>2</sub>. That's

1 about 50 million metric tons per year. And of that 50  
2 million metric tons, about 18 million metric tons is  
3 permanently sequestered in the geology of the  
4 reservoir. So for context, 18 million metric tons is  
5 the emissions equivalent of about 4 million cars. So  
6 every year, we're putting the emissions from 4 million  
7 cars and permanently sequestering that underground.

8 So we know that that CO<sub>2</sub> stays underground  
9 because we have two MRV plans approved through U.S.  
10 Environmental Protection Agency. So MRV is for  
11 monitor, reporting, and verifying. Those plans are  
12 actually made publically available, so if you ever  
13 need some light reading material, it's actually only  
14 45 to 50 pages, and it goes in-depth about all of our  
15 knowledge of the geology of the reservoir, why the CO<sub>2</sub>  
16 stays underground, how things move underground. And  
17 so that's how we can be sure that we're putting there  
18 stays there.

19 We spent many years developing and  
20 perfecting this technology, and we continue to invest  
21 and grow and innovate in this space in our understand  
22 of all the rock.

23 So like I said, we have been sequestering CO<sub>2</sub>  
24 safely and reliably in the Permian Basin for over 40  
25 years. We've conducted hundreds of reservoir studies,

1 and we have massive amounts of data supporting the  
2 viability and safety of CO<sub>2</sub> in oil and gas reservoirs.

3 To date, we've sequestered more than 400 million tons  
4 through 36 CO<sub>2</sub> floods that we currently operate.

5 Our net production related to CO<sub>2</sub> EOR is an  
6 additional 155,000 BOE per day. So ever day, we get  
7 an additional 155,000 barrels of oil equivalent, just  
8 through using CO<sub>2</sub> for enhanced oil recovery.

9 So as part of our carbon neutral aspiration,  
10 we spend a lot of time working toward the carbon  
11 neutral barrel of oil. For every barrel of oil, about  
12 .8 million cubic feet of CO<sub>2</sub> is emitted. If we can  
13 sequester .8 million cubic feet of anthropogenic CO<sub>2</sub>  
14 per barrel of oil, we're approaching the carbon-  
15 neutral barrel with the potential of creating a  
16 carbon-negative barrel of oil.

17 So in order to get to carbon neutral, we  
18 need to access more anthropogenic CO<sub>2</sub>. 45Q was the tax  
19 credit that was expanded and extended in 2018, and  
20 that really helped to incentivize the capture of CO<sub>2</sub>  
21 from facilities across the country. The tax credit  
22 acted to help cover the costs of capture equipment so  
23 more folks were incentivized to build the equipment  
24 on.

25 This legislation enjoyed bipartisan support

1 in both the House and Senate, and has enabled us to  
2 embark on exciting new partnerships. And I'll discuss  
3 a little bit of those just in a minute.

4 So with 45Q, we have the incentive to  
5 capture CO<sub>2</sub>. With Oxy's enhanced oil recovery, we have  
6 the demand for CO<sub>2</sub>. We just need a way to get the CO<sub>2</sub>  
7 from source to sink. Currently, we operate about  
8 5,000 miles of CO<sub>2</sub> pipeline in this country, and Oxy  
9 owns about 2,500 of those. But in a hearing last May  
10 in front of the Senate Energy and Natural Resources  
11 Committee, Steve Winberg said that we would need at  
12 least 10,000 to 30,000 miles of CO<sub>2</sub> pipelines in this  
13 country.

14 So we're considering this need, and have  
15 developed the idea of a Midwest superhighway. This CO<sub>2</sub>  
16 trunk line would transport CO<sub>2</sub> from up to 57 industrial  
17 sources, including coal, ethanol, cement, and ammonia  
18 facilities in the Midwest. So you would capture all  
19 of those through different feeder lines into the  
20 Midwest trunk line, and that would bring it down into  
21 the Permian Basin for enhanced oil recovery.

22 Eventually, we see those pipelines as  
23 bringing the CO<sub>2</sub> down, like I said, to the Permian  
24 Basin, but then elsewhere as we start to embark on CO<sub>2</sub>  
25 as feed stocks and in use in other types of materials.

1           Now, one thing I will mention about this,  
2           the CO<sub>2</sub> pipeline permitting process right now is very  
3           difficult, and it's housed in lots of different  
4           places. So something else that we're spending time  
5           thinking about and working on actually from a  
6           legislative perspective is the Use It Act, which is  
7           legislation that will help streamline the CO<sub>2</sub> pipeline  
8           process for permitting. Well, there we go.

9           So the question then is if we're able to get  
10          all the CO<sub>2</sub> down to the Permian Basin, what is the  
11          storage potential? So we've been looking at Permian  
12          Basin in particular, and we believe these reservoirs  
13          are capable of storing total U.S. emissions for the  
14          next 200 years in the Permian Basin alone.

15          We already have the infrastructure,  
16          expertise, and experience in place, and we're taking  
17          action to start sequestering this anthropogenic carbon  
18          at a massive scale. And like I said, all of these  
19          efforts are supported, monitored, and verified by U.S.  
20          EPA and a number of independent experts in academia.

21          So that's a little bit of Occidental and our  
22          enhanced oil recovery. But I want to do now is shift  
23          to Oxy Low-Carbon Ventures. So Low-Carbon Ventures  
24          was formalized in the summer of 2018 to serve a dual  
25          purpose, to enhance Oxy's profitability and

1 shareholder value in the transition to a low-carbon  
2 economy and to reduce our greenhouse gas footprint.  
3 And we want to help others do the same.

4 So low-carbon ventures is a wholly-owned  
5 subsidiary of Occidental Petroleum, and their focus is  
6 to decrease our carbon footprint through low-carbon  
7 energy solutions. Our goal is to lower the cost of  
8 capture so that we can make more widespread the  
9 capture and use of CO<sub>2</sub>.

10 Low-Carbon Ventures is looking at  
11 opportunities that utilize CO<sub>2</sub> to create products, such  
12 as plastics or CO<sub>2</sub> as feedstocks for fuels to help  
13 decarbonize the historically difficult transportation  
14 sector. We've already embarked on a number of  
15 projects, and I'll share just a few of those this  
16 morning.

17 So last year, Oxy announced a feasibility  
18 study with White energy, a biofuels producer in Texas  
19 and Kansas. This study would outline options for  
20 capturing CO<sub>2</sub> from two of White Energy's ethanol  
21 facilities in West Texas and bringing that -- and  
22 transporting that anthropogenic CO<sub>2</sub> to the Permian  
23 Basin for injection.

24 The project could potentially sequester  
25 approximately 1 million tons of CO<sub>2</sub> per year. So a

1 typical passenger vehicle emits about 4.5 million  
2 metric tons of carbon dioxide -- I'm 4.6 metric tons  
3 of carbon dioxide a year.

4           So this project has the potential to remove  
5 the carbon dioxide equivalent of about 200,000 cars  
6 per year. It's an important first step in cross-  
7 industry collaboration to make carbon capture  
8 economic, practicable, and scalable. And when I go in  
9 and I talk to regulators and legislators, and I can  
10 say that I'm probably one of the only oil and gas  
11 companies that actually really likes to work with  
12 ethanol. You don't see a lot of those.

13           So in November, Oxy joined Exelon,  
14 McDermott, and Eight Rivers to partner with Net Power,  
15 which is a zero-atmospheric emissions natural gas  
16 power generation facility. Net Power is really  
17 incredible technology, and I am not a scientist, so  
18 I'm going to go too much into detail. But I'll give  
19 you a little bit of the high level.

20           So it uses supercritical CO<sub>2</sub> instead of steam  
21 as a working fluid. It combines oxygen and methane  
22 combustion technology with CO<sub>2</sub> as a high-temperature  
23 working fluid, and it inherently captures all the CO<sub>2</sub>.

24           So this oxy combustion technology historically has  
25 not been economic. But by capturing and reusing the

1 produced CO<sub>2</sub> into the combustor, Net Power has created  
2 a cheaper, cleaner alternative to traditional natural  
3 gas power plants.

4 This technology is known as the Allam Cycle  
5 and generates zero atmospheric emissions. Byproducts  
6 are water, nitrogen, argon, and pipeline-ready CO<sub>2</sub>. So  
7 we see the potential for this pure stream of CO<sub>2</sub> to be  
8 utilized in our enhanced oil recovery operations. Net  
9 Power's power generation technology with inherent  
10 carbon capture compliments Occidental's leadership in  
11 CO<sub>2</sub> utilization and sequestration, making us ideal  
12 partners to tackle carbon emissions worldwide.

13 Last year, Oxy announced a partnership with  
14 Carbon Engineering, a British Columbia-based company  
15 that has been developing direct air capture technology  
16 since 2009. In 2015, they opened the first pilot  
17 plant for direct air capture. In May, Oxy announced a  
18 joint venture with carbon engineering to bring the  
19 world's first commercial scale direct-air capture  
20 facility to Texas. So it will be removing carbon  
21 dioxide directly from the atmosphere.

22 The facility will remove CO<sub>2</sub> at about 1  
23 million tons per year. The direct air-capture plants  
24 are location-independent. So you can colocate them  
25 with an oil field for enhanced oil recovery. And

1 using atmospheric CO<sub>2</sub> for oil recovery greatly reduces  
2 the carbon footprint of a traditional barrel of oil  
3 and opens our pathway to the carbon-neutral barrel.

4 We plan to begin construction on this  
5 commercial-scale facility in 2021, and hope that it  
6 will be operational by 2023.

7 So I always like to point this out because  
8 Oxy really is an all-of-the-above energy company. We  
9 use natural gas and coal for electricity. We partner  
10 with ethanol. Some of our OxyChem facilities have  
11 cogeneration technology that allows us to use the  
12 hydrogen byproduct to power the chemical operations.  
13 And we're now expanding into solar.

14 So about a third of our costs in the EOR  
15 field is electrical generation. We're currently  
16 installing a 16-megawatt solar facility at our  
17 Goldsmith unit, which will reduce our scope on  
18 emissions and help us with energy efficiency costs.

19 So we see CO<sub>2</sub>-enhanced oil recovery as a  
20 first step of many in creating ways to decarbonize.  
21 Transforming carbon emissions into feedstocks for  
22 plastics, building materials, and other products is an  
23 exciting way to reduce atmospheric CO<sub>2</sub> while continuing  
24 to add value to the economy.

25 But it's of the utmost importance that we

1 continue to develop and perfect ways to capture and  
2 transport CO<sub>2</sub>. This includes efforts to improve upon  
3 and expand the 45Q tax credit, and pass the Use It Act  
4 for CO<sub>2</sub> pipeline permitting.

5 So we must work with parties across all  
6 sectors to create a pathway for the low-carbon future.

7 By partnering with ethanol, coal, steel, cement, and  
8 others, we can ensure a win for emitters, producers,  
9 and the environment. So we see four main steps to  
10 building and deploying this technology.

11 I talked a little bit about the capture  
12 technology. For now, that includes the capture  
13 facilities both from point sources and direct-air  
14 capture.

15 Transport. Building upon the 5,000 miles of  
16 pipeline will be important to ensure that captured  
17 emissions can be utilized efficiently and effectively.

18 But it requires many more pipelines and a better  
19 process for permitting.

20 Number three, storage and use. As I  
21 mentioned, we have stored over 400 million tons of  
22 carbon dioxide to date, and we've done so safely and  
23 reliably.

24 And finally, public trust and acceptance. I  
25 mentioned the MRV programs, the reporting, monitoring,

1 and verifying programs. And we need to continue to  
2 utilize the expertise both at DOE and the EPA. These  
3 MRV plans create a transparent process with public  
4 input and the opportunity to engage, and maintaining  
5 that is really important to the future success of  
6 these programs. We need to continue to work with  
7 regulators and legislators to ensure strength and  
8 transparency in the oversight.

9 So I'm thrilled to be working with a company  
10 that's doing lots of incredible work to decrease  
11 emissions and increase production of domestic energy  
12 sources. At Oxy, we want to enhance profitability and  
13 shareholder value in the transition to a low-carbon  
14 economy. It's the right thing to do, and we're proud  
15 to work with other stakeholders in this vision.

16 So I can take questions now, if anyone has  
17 any -- oh, there is all of the legal stuff, which I  
18 know is very important. But, yeah, happy to take any  
19 questions.

20 MS. GELLICI: Would you please join me in  
21 thanking Hilary Moffett.

22 (Applause.)

23 MS. GELLICI: Do we have any questions for  
24 Hilary that we can take from the audience?

25 Casey, would you grab that mic? I'm sorry.

1 I don't know where Hiranthie is. She's probably  
2 busy. But if you'll state your name and affiliation.  
3 Thank you. It's on.

4 MR. KAPTUR: Is it on?

5 MS. GELLICI: Yes.

6 MR. KAPTUR: Thank you for your comments.  
7 My name is Casey Kaptur. I'm with RPM Global. CO<sub>2</sub>  
8 floods for enhanced oil recovery, that's a pretty  
9 mature technology. But when I think of that, I  
10 usually think of it in regard to traditional vertical  
11 wells. Is it also applicable to what we broadly call  
12 fracking?

13 MS. MOFFETT: So we have been exploring  
14 using CO<sub>2</sub> in the unconventional. We have done a  
15 couple of pilot programs, and so far things are  
16 successful. But you're right to say that right now  
17 everything is just conventional.

18 MS. GELLICI: Hilary, when you work on the  
19 Hill with the regulators, are you finding more folks  
20 receptive to the idea of CO<sub>2</sub> capture, and maybe what  
21 are some of the concerns or questions that seem to  
22 come up from them?

23 MS. MOFFETT: Yeah. So -- and I'll start  
24 this with my own admission. When I started with  
25 Occidental, I didn't know a lot about enhanced oil

1 recovery and carbon capture. And so when you're  
2 talking about some of these things that I mentioned  
3 today, like direct-air capture, like the ability to  
4 pull carbon dioxide out of the atmosphere and use it  
5 in enhanced oil recover, it seems a little like  
6 science fiction.

7           So a lot of what I've had to do is the very  
8 low level education efforts to start. But  
9 increasingly, what I hear is people are really excited  
10 to hear about it, and they want to know more. And  
11 that's in part because right now the politics are very  
12 difficult, especially as it relates to climate change.

13           So giving folks something that they can  
14 support as it relates to climate solutions, is  
15 something that is widely accepted and appreciated.  
16 For so long -- and it doesn't have to be a  
17 Republican/Democrat issue, but for so long Republicans  
18 especially haven't had a strong argument when it comes  
19 to climate solutions. And I know that because I  
20 worked on the Environment Committee under Senator  
21 Inhofe.

22           So increasingly, what I'm finding is you  
23 have people, Republicans especially, that say help us  
24 find a solution here because we recognize that there  
25 is a problem, but the Green New Deal isn't the

1 solution. So what can we be for? We don't want to be  
2 against everything, but we have to be for something.  
3 But we want it to make sense.

4 So when we come in, and we talk about pro-  
5 business, pro-domestic energy, and decreasing  
6 greenhouse gas emissions, people are really excited to  
7 hear about it. And even further, I'll say they're  
8 excited to see that we're actually putting money in  
9 these investments. We don't just talk about it.  
10 We've been doing it for a long time. But how are we  
11 expanding into new areas that we think can keep up  
12 with the times, I think is something that people are  
13 really excited to hear about.

14 MS. GELLICI: And can you share with us  
15 maybe a few high-level points on the Use It Act? I  
16 think the transport option is so critical to getting  
17 these technologies advanced. So I think that's  
18 important, if you could just share a few points on  
19 that.

20 MS. MOFFETT: Sure. Yeah, you know, one of  
21 the things that we spend some time thinking about  
22 is -- the word pipeline, people don't love it. I  
23 mean, you think about Keystone. You think about oil  
24 and gas pipelines, and you think about all kinds of  
25 issues with that.

1           And so I'll start with something that we're  
2 trying to do is educate members of Congress and  
3 regulators and the general public, on the differences  
4 between an oil and gas or -- yeah, an oil and gas  
5 pipeline and carbon pipeline because they're very  
6 different. And that actually is reflected in the way  
7 that they're regulated.

8           Right now CO<sub>2</sub> pipelines spans lots of  
9 different agencies, and it's a very difficult process  
10 to try and expand. The other thing we're trying to be  
11 cognizant of is the future demand that we foresee. So  
12 I don't know if I can get back to this Midwest  
13 pipeline. But what we really want to make sure and do  
14 is build a pipeline for future demand, not demand  
15 today because we really see so many opportunities with  
16 these 57 capture facilities to bring on lots of  
17 supercritical CO<sub>2</sub>, but in order to do that, we need a  
18 pipeline that fits it all.

19           So one of the things that we're spending  
20 time working with internally and with other  
21 shareholders -- I mean, sorry, other stakeholders -- is  
22 how can we build a pipeline that would fit the demand  
23 for 57 facilities. So the Use It Act is legislation  
24 that helps -- among other things, there is some money  
25 in there for direct air-capture technology. There is

1 some different programs at Department of Energy and  
2 Environmental Protection Agency, but it also helps  
3 streamline that process for the permitting that looks  
4 a little bit more like it would for an oil or a  
5 natural gas pipeline.

6 So that will make it easier when we get to  
7 the stage that we can start to really look at  
8 something like this, and what the process would be for  
9 all of your permitting, your environmental impact  
10 statements, and working with state and local  
11 governments. We'll have a more clear understanding of  
12 how we can do that properly.

13 So the Use It Act is interesting because has  
14 bipartisan support on both the House and the Senate.  
15 45Q, bipartisan support on both the House and Senate.

16 So that just goes back to my point that we really see  
17 a little of people on both sides of the aisle that are  
18 really interested by this idea, and want to know more  
19 and want to be engaged.

20 MS. GELLICI: We'll end on that note with  
21 the good news on that. Oh, there might be one more  
22 question from Mike. I'll make you walk. Thank you.

23 MR. MOORE: Hi, Hilary. My name is Michael  
24 Moore, TWSA. And great stuff. And I know Oxy has  
25 been a leader in a lot of these things, and it's

1 always great to see even more of this. Quick  
2 question. To do this kind of a pipeline system, CO<sub>2</sub>  
3 pipelines do not have eminent domain or coverages in  
4 their state system. How do you get through that mess  
5 of state-by-state land acquisition and right-of-way  
6 perfection?

7 MS. MOFFETT: Yeah. So we're certainly not  
8 getting involved in the eminent domain conversation on  
9 this one. But one thing --

10 MR. MOORE: Of course.

11 MS. MOFFETT: -- that we are working, there  
12 are different legislative proposals, and some of them  
13 actually would encourage the use of existing rights of  
14 way and existing -- you know, in the pipeline  
15 corridors. So that's an option. But, I mean, the  
16 other option it was just going to take a lot of work,  
17 and especially something like this where you're going  
18 through five states.

19 So, you know, we don't want to get involved  
20 in eminent domain, but we are looking at different  
21 ways that perhaps already exist. Now, this pipeline  
22 was mainly drawn out based on where the capture  
23 facilities would be located. So how can we get the  
24 most bang for our buck? And actually, there have been  
25 other states that were originally put into this and

1 were cut out later.

2 But, I mean, it certainly would be a  
3 challenge.

4 MR. MOORE: Right. I had at one time worked  
5 with a group with a proposal of adding three words to  
6 the Natural Gas Act were "and carbon dioxide," to give  
7 them the same coverage under FERC and that whole  
8 eminent domain issue. And, of course, any time that  
9 was brought up, it was rejected very quickly. But at  
10 that time the idea of superhighway for CO<sub>2</sub> pipelines  
11 was literally a pipe dream back then.

12 MS. MOFFETT: Yeah.

13 MR. MOORE: Now it's different. And I'm  
14 wondering if somebody with enough pull will show up  
15 with that again.

16 MS. MOFFETT: Yeah. You know, actually, I  
17 had a conversation with Chairman Chatterjee about this  
18 months ago, just about sort of where there are holes  
19 and why it was created like this. And I think you're  
20 right. This was just not something that people really  
21 foresaw.

22 And so we're having to do a little bit of  
23 back work to try and figure out where this could fall,  
24 what would make it most effective, both for our  
25 purposes, but for the greater good, too. I mean, we

1 want to be very cognizant that we're doing a lot in  
2 this space. But in order for these programs to be  
3 successful, we need lots of other people to jump into  
4 this space as well.

5 And we've said that with 45Q. You know, in  
6 order to have the continued success, people need to  
7 utilize it. And we need to be able to go back to  
8 Congress and say this is a program that people are  
9 really taking advantage of. You know, help DOE do  
10 more.

11 So it has taken a lot of education and a lot  
12 of imagination on our part, too.

13 MR. MOORE: Thank you.

14 MS. MOFFETT: Thank you.

15 MS. GELLICI: Hilary, thank you very much.

16 MS. MOFFETT: Thanks.

17 (Applause.)

18 MS. GELLICI: So we'll not use the word  
19 pipeline, we'll talk about CO<sub>2</sub> highways from now on.  
20 So thank you very much for your presentation, Hilary.

21 It's my pleasure to introduce Jason Selch,  
22 who is CEO of Enchant Energy Corporation. Enchant  
23 Energy is acquiring the San Juan Generating Station  
24 near Farmington, New Mexico. They have plans underway  
25 to retrofit the San Juan Generating Station with

1 state-of-the-art carbon capture equipment that will  
2 transform that facility into the lowest emission  
3 fossil fuel plant in the western U.S.

4 Jason is a professional investor in the  
5 energy industry, with over 25 years of experience, and  
6 is a partner in Acme Equities, which is an energy  
7 investment firm. He received his BA in economics and  
8 his MBA in finance and accounting both from the  
9 University of Chicago. I recently saw Jason present  
10 at a USEA event and was very impressed with the plans  
11 he has underway, so I invited him to join us.

12 I think he brings a tremendously unique  
13 perspective with his finance and investment  
14 background, and so in particular I'm glad he's here to  
15 share with us his plans for the future for the San  
16 Juan generation station. Would you please join me in  
17 welcoming Jason. Jason?

18 (Applause.)

19 MR. SELCH: Well, first of all, Janet, thank  
20 you very much for inviting me. So this is a  
21 conference where last night's keynote speaker was the  
22 chair -- is the chairman of the Federal Energy  
23 Regulatory Commission. Dr. Anderson is running NETL.  
24 Hilary is from one of the leading companies in the  
25 United States.

1           Enchant Energy is a company I founded this  
2 year. We have four employees. It's an independent  
3 power development company. We are acquiring the San  
4 Juan Generating Station. We've created a  
5 public/private partnership with the city of  
6 Farmington. We are not a gigantic organization, but  
7 we have a very important project, and it's a very  
8 important project to everybody here.

9           So let's see. Here it is. Excuse me.

10           MS. GELLICI: I'm sorry, Jason. It's the  
11 one that's the down arrow, believe it or not.

12           MR. SELCH: Okay. Sorry about that. So the  
13 first statement is that San Juan Generating Station is  
14 perhaps the best site in the U.S. for next large-scale  
15 installation of carbon capture utilization storage  
16 technology. There are a number of factors that we're  
17 going to go into about why that is the case.

18           It is very important for this industry to  
19 move forward with a large-scale project and one that  
20 can be financed in the private market. And so when  
21 you have the best site, it's the project that could be  
22 most easily financed. And we actually think that if  
23 everything goes correctly, that it could be online  
24 sometime in 2023.

25           The coal industry and the coal-fired

1 generation industry is facing huge challenges. They  
2 need to come up with a way to be able to continue to  
3 supply low-cost energy while at the same time doing  
4 their part to reduce CO<sub>2</sub> emissions and have  
5 environmental stewardship.

6 This project is also -- so this project is  
7 very important for the industry because the industry  
8 needs to demonstrate that there is a way that they can  
9 coexist in the environment that we have today that's  
10 very climate-conscious. It is also very important for  
11 our planet. So not being a professional scientist or  
12 environmental researcher, I have just reviewed a lot  
13 of research in the public domain. And there is pretty  
14 much general consensus that in order to achieve the  
15 1.5 percent -- 1.5 degree ramp for temperature, that  
16 carbon capture is necessary.

17 Carbon capture, it is not going to happen on  
18 its own. It has to happen the same way that other  
19 technologies have been developed, which is that you  
20 start with some projects that are very high cost, and  
21 then the next one is a lower cost, and the next one  
22 and the next one.

23 In this technology, the carbon capture  
24 technology using post-combustion aiming-based  
25 technology. So that's the technology we're going to

1 use. That is the off-the-shelf technology. There  
2 have only been two commercial-scale projects attached  
3 to coal-fired power plants, one which is the Boundary  
4 Dam in Canada, and the other one, which is the Petra  
5 Nova project in Texas.

6 Boundary Dam came online in 2015, and the  
7 Petra Nova in 2017. If we fit our schedule, we will  
8 come online in 2023. Six years is too long a period  
9 of time between one iteration and the next one. We  
10 need the projects to go one after another so we can  
11 really improve this technology, and we really need  
12 this technology in order to address climate change for  
13 the planet.

14 And, you know, the United States, I think is  
15 doing a very good job of its part of reducing its  
16 emissions by basically moving from coal-fired  
17 generation to gas-fired generation. But that's not --  
18 the United States can't do it on its own. We need to  
19 develop this technology and we need to export this  
20 technology.

21 So the project that I'm involved in,  
22 although it's being sponsored by a small company and  
23 in conjunction with city of Farmington, it's very  
24 important for the coal industry, and it's very  
25 important for our global climate agenda.

1           When we started looking at this, we found  
2           that in the literature again that carbon capture  
3           technology had decreased in cost, that the previous  
4           view had been that it might cost about \$65 a ton of  
5           carbon to take out the carbon dioxide. But then there  
6           was recent studies actually last year, and it said  
7           maybe the cost had come down by 30 to 35 percent.

8           So the first thing that we did was we hired  
9           the engineering firm Sargent and Lundy to look at how  
10          much would it cost to do carbon capture at this  
11          particular site, and they came up with the price of  
12          \$39 to \$43 per metric ton. And that is a price range  
13          which would make this project financeable in the  
14          private market, and also would make it so that the  
15          carbon capture process could be self-financing, and  
16          therefore would not increase the cost of generation of  
17          the power plant.

18          So much of the criticism of this technology  
19          is that it is too expensive, and that it will increase  
20          the cost of generation, and with coal-fired power  
21          competing, the competition is very difficult with  
22          natural gas-fired power. Adding carbon capture is not  
23          something that hurts. In fact, the way we're  
24          structuring the deal, it basically provides an inhouse  
25          customer for about 29 percent of the electricity

1 generation and the steam.

2           Using carbon capture is also something that  
3 works very well at the local level. So I'm going to  
4 talk in a little bit about the public/private  
5 partnership. But the result is that by adding carbon  
6 capture to an existing coal-fired power plant, it is  
7 excellent for the environment. So carbon capture with  
8 the currently-available technology reduces the  
9 output -- the intensity of the carbon dioxide from  
10 2,200 pounds per megawatt hour down to 250. It's a 90  
11 percent reduction.

12           Two fifty is less than a third of what -- in  
13 the intensity of a combined cycle power plant and less  
14 than a quarter of peaking unit. So it's very good for  
15 the environment. It's very good for the ratepayers.  
16 It is very good for the ratepayers because with the  
17 availability of a market for the CO<sub>2</sub> -- and I tell how  
18 this project is close to the Permian Basin so it works  
19 for having a market.

20           With 45Q tax credit, those two things make  
21 this self-financing and therefore does not increase  
22 the cost of power. And the power plant can continue  
23 to run as it has been, as a low-cost generator in the  
24 market. Then the third thing is, is that it's a way  
25 to address the climate while at the same time

1 maintaining the continuity of the community. So where  
2 this plant is located in New Mexico, this is a very  
3 significant employer because the mine and the power  
4 plant are colocated to the same area. And if the  
5 plant were to shut down, it would be devastating to  
6 the community. So we're really achieving all three of  
7 those of win-win-win goals.

8           What is the San Juan generation station? So  
9 currently configured, it's a 847-megawatt power plant  
10 that runs on a very efficient low-cost coal supply  
11 from a mine that's located basically underneath the  
12 power plant, located in Northwest New Mexico. Very  
13 fortunately, it has very good access to transmission  
14 to take electric power to Colorado, Utah, Nevada,  
15 Arizona, New Mexico, and California.

16           And since the plan is to take it out of  
17 rate-based and turn it into a merchant plan, having  
18 access to a lot of markets is the key thing. It is  
19 currently owned by a number of utilities. And the  
20 utilities have all elected to abandon the power plant  
21 for their regulatory processes, and we've acquired the  
22 right to take over the power plant in 2022, when the  
23 current owners are going to abandon the power plant.

24           The power plant -- some of the advantages of  
25 the power plant from the point of view of why it is

1 that its cost of capture is \$39 to \$43, which I think  
2 is a low price compared with other different  
3 opportunities to do this, is because in the past five  
4 or six years, they went through a process to upgrade  
5 the environmental controls in the power plant.

6 They invested hundreds of millions of  
7 dollars to comply with regional haze. And they put on  
8 state-of-the-art emission control to control various  
9 different emissions, NOx, SOx, mercury particulate.  
10 They have balanced draft. They have a whole bunch of  
11 stuff. So it benefits from having, with the exception  
12 of carbon dioxide, a very clean stream of emissions.

13 So when you put carbon capture onto a power  
14 plant, it's best to start with the stream of emissions  
15 that doesn't have a lot of other substances in it.  
16 The other thing is that in conjunction with the  
17 settlement with the EPA regarding the regional haze,  
18 they decreased the size in the power plant by about a  
19 half.

20 What that meant was -- what that means is  
21 that there is plenty room in the footprint of the  
22 power plant to put on the carbon capture. We're going  
23 to do it with different units, so there were  
24 originally four turbines. Two have been shut down.  
25 We're going to attach carbon capture to two of those.

1 We think that that's also very good from the point of  
2 view of reliability of electrical generation and  
3 actually reliability in terms of the carbon capture.  
4 It's just very good to have a power plant that isn't  
5 dependent on just one, you know, one system.

6 So we have two in there. And when it was  
7 downsized, in addition to that, it has the water  
8 handling equipment and most of the cooling towers for  
9 a four-unit power plant and piping and auxiliary power  
10 and many things. So those are some of the advantages  
11 of the plant.

12 This is a picture of it. And I just -- we  
13 had this taken this year because all the other PR  
14 things in the public domain show four stacks going  
15 with black smoke. And this shows two stacks with, you  
16 know, very clean emissions, and that's because this is  
17 done after the downsizing.

18 But this project is being vigorously  
19 attacked because there is a strong interest amongst  
20 groups that carbon capture should not be successful,  
21 and this is a very good place to do it. So it's being  
22 attacked. And so I want our own picture out there  
23 that shows there are only two stacks, and the stacks  
24 are very clean in emissions, with the exception of CO<sub>2</sub>.  
25 It pumps out a lot of CO<sub>2</sub>.

1           Enchant Energy, we just formed it this year.

2           And my partner and I, we are entrepreneurs and have  
3           been investors in this industry for a long, long time,  
4           the energy industry broadly speaking, and we're  
5           working with a number of different consulting firms  
6           and law firms, and we applied for a grant in May from  
7           the DOE for the feed study, and we're waiting to hear  
8           what the decision is going to be on that sometime  
9           soon.

10           This is where the San Juan Generating  
11           Station lies on the supply curve. So it is lower-cost  
12           than practically any gas-fired power plant out there.

13           And it's a low-cost power plant.

14           This is kind of a schematic. Well, let me  
15           get to the next page. So, when we were approached by  
16           the City of Farmington to take over this power plant  
17           and do something with it, my initial thought was that  
18           I hadn't practically ever heard of such a stupid idea,  
19           to try and turn a coal-fired power plant into a  
20           merchant plant.

21           But we had actually been doing some work for  
22           one of the major CO<sub>2</sub> companies. Actually, we had been  
23           doing some -- had a lot of interaction with Kinder  
24           Morgan in 2018, and they had actually told us that  
25           there's a very strong interest in the oil and gas

1 industry, which kind of has been repeated here, to  
2 shift from using CO<sub>2</sub> that comes from underground to CO<sub>2</sub>  
3 that is captured, captured CO<sub>2</sub>.

4 So, after I thought that this was a stupid  
5 idea, my colleague said, well, let's see where the  
6 Kinder Morgan pipeline goes. So we pulled up this.  
7 This is from their website. And just there where the  
8 pointed arrow says Cortez Pipeline, that's basically  
9 Farmington. So that's where the power plant is. So  
10 we're like, okay, well, let's see if there's something  
11 we can do with the power plant because it's right next  
12 door to a CO<sub>2</sub> pipeline, and we know that the oil and  
13 gas industry really wants to switch over to this kind  
14 of captured CO<sub>2</sub>.

15 And so, you know, we were developing this  
16 project. This is a schematic that I put together, and  
17 I think that there's a lot of misunderstanding about  
18 carbon capture. So carbon capture is that you have a  
19 coal mine and it produces carbon in the form of coal.

20 I understand that they're very complicated molecules,  
21 and we should use their molecular structure. But we  
22 do combust them. And when we combust them in a normal  
23 power plant, they produce 2200 pounds per megawatt  
24 hour of emissions, and they are the principal source  
25 of carbon dioxide in the atmosphere. And that's a

1 big, huge problem.

2 When, on the other hand, you take the coal,  
3 you combust it, about 10 percent goes into the  
4 atmosphere, and that's the 250 pounds per megawatt  
5 hour. The balance, the 1950, is shipped by pipeline  
6 and, because of the proximity of the Cortez Pipeline  
7 to this location, there isn't a very big pipelining  
8 issue. And then it goes to an oil field and it can be  
9 pumped underground.

10 So it starts as coal underground, the  
11 carbon. A little bit of it leaks off into the  
12 atmosphere while you're using it, while you're  
13 creating energy. And then it goes back into the  
14 ground. So it just comes from where it went, except  
15 maybe -- well, we're hoping that it's going to be  
16 pumped into an oil field in New Mexico because, in the  
17 State of New Mexico, the severance taxes go to pay  
18 for the Department of Education, and we want to say  
19 that, by capturing the CO<sub>2</sub>, we're helping the Education  
20 Department too.

21 We need a lot of political support on this  
22 project. So wherever we can get it, we want to get  
23 it. But then it kind of goes down into the ground. I  
24 think one of the questions that a lot of people ask  
25 about carbon capture is why don't you do that and then

1 just dump it in the ground. There are certain  
2 formations called saline formations that you could  
3 easily bump it into in the ground that don't produce  
4 oil.

5 So why is it that we would want to bump it  
6 into the ground to produce oil? The main reason is is  
7 because this project is going to cost \$1.3 billion.  
8 We're going to have to raise financing to do that. We  
9 need counter parties who are going to be able to  
10 guarantee that the carbon dioxide that goes in the  
11 ground stays in the ground and never comes out.

12 And so the oil and gas industry has  
13 basically said we can be your counter party because,  
14 actually, they have a track record of -- did you say  
15 50 years? -- 50 years of using CO<sub>2</sub>. And I want to  
16 check that study that you were talking about. You  
17 told me that it's on the website, right? Because I've  
18 been looking for that data because other people have  
19 said to me, well, you know, you're going to pump it  
20 underground, then it's going to come out into the  
21 atmosphere eventually.

22 But then I've spoken to people in the  
23 industry, and they're like, no, it stays underground  
24 there. So I want to see these scientific studies. I  
25 think that's very important to be out there, and I'm

1 really glad that you're making it available to the  
2 public.

3 So we need the oil and gas companies as the  
4 counter parties, but if we didn't -- if we weren't  
5 financing it in the private market, you know, if  
6 somebody came along and wanted to give us the \$1.3  
7 billion, we'd just be happy to pump it into saline  
8 solution.

9 This is just a chart that -- the Clean Air  
10 Task Force is one of the environmental organizations  
11 that is a very strong supporter of carbon capture.  
12 And they are using their kind of analysis to show that  
13 when you pump the carbon dioxide into an oil and gas  
14 field, it is much less carbon-intensive than if you  
15 drill a new well. And this is kind of their analysis.

16 But you know what? I spent my whole career  
17 working in oil and gas, and what I know is that the  
18 carbon dioxide goes down into the formation and then  
19 it's really just the energy that's used. And the rest  
20 of the oil and gas industry, you have to drill a whole  
21 bunch of wells. There's a bunch of things here.  
22 We're just really using the energy. And I think it's  
23 very environmentally benign.

24 Now it happens that it means that you have  
25 to have a partnership or some kind of a deal with an

1 oil and gas company. We all know that they are  
2 like -- did somebody call them criminal? Well,  
3 anyway, but they are not. But anyway, this is the  
4 results of the Sargent and Lundy scoping study, and  
5 there you can see that they're saying \$39 to \$43 a ton  
6 is the cost. They basically said that, in this  
7 particular location, it's going to cost about \$1.3  
8 billion. The operating costs are going to be about  
9 \$100 million a year. That \$100 million a year will be  
10 covered by the sale of the CO<sub>2</sub>. That's the other  
11 reason we need an oil and gas company, is that we need  
12 an entity that will buy the CO<sub>2</sub> to pay for the  
13 operating costs that we're going to have.

14 And that operating cost includes the cost of  
15 the electricity that's used, the 29 percent of the  
16 electricity. This is based on thinking that there's  
17 29 percent of the electricity that would have to be  
18 used for this.

19 Over 12 years, at 6 million tons a year  
20 captured, that's \$2.5 billion of tax credits. \$2.5  
21 billion of tax credits is enough to finance something  
22 that's going to cost \$1.3 billion. And as I was  
23 saying, the sale of the CO<sub>2</sub> will cover the operating  
24 costs. And as a result of that, the project can be  
25 developed without burdening the power plant with an

1 increase in power costs.

2 This is why this is great. This is going to  
3 take 6 million tons of CO<sub>2</sub> out of the amount of  
4 emissions that are being emitted today in the United  
5 States. That's a very big number. That probably is  
6 more than is being captured by all the other carbon  
7 capture projects in the world.

8 If they take this power plant and they were  
9 to replace it with a natural gas-fired power plant,  
10 then that power plant would generate 27 percent more  
11 CO<sub>2</sub> than this power plant with carbon capture. So if  
12 you took -- for example, if you took the 1100 per  
13 megawatt hour, pounds per megawatt hour, times eight  
14 hours, and then you compared that with 24 hours at 250  
15 for a carbon capture plant running 24 hours,  
16 basically, the gas peaking plant generates 27 percent  
17 more CO<sub>2</sub> than running a coal-powered power plant 24  
18 hours with the much lower emission rate.

19 Oh, okay. We also think that this is going  
20 to be a cheaper way for the ratepayers in New Mexico,  
21 and it's going to save 458 jobs, 1,000 nondirect jobs,  
22 8 million of local tax revenues, and something that's  
23 undefinable that we're very excited about is that, by  
24 having kind of the third commercial-scale project,  
25 it's going to allow New Mexico to become a leader in

1 this technology, and we don't know -- people who work  
2 at that plant will probably be deployed as this  
3 technology spreads around the world.

4 I'm going to forget about that. This is --  
5 some people from -- the leaders of Farmington, New  
6 Mexico, have joined us at this conference. And it's a  
7 very poignant story that the project -- the power  
8 plant was going to be shut down or is planned to be  
9 shut down. They hired a consulting firm to figure out  
10 what the impact was on their economy. It told them  
11 that the impact on their economy would be devastating.

12 Instead of sitting around and saying, oh,  
13 well, you know what, things happen, and it's all being  
14 kind of driven by people outside of our community,  
15 whether it's the utility or whether it's the  
16 environmental mandate or whatever it is. They said,  
17 okay, well, we got to do something about that. So  
18 they hired a law firm in Washington who found my firm,  
19 and then we found that carbon capture technology would  
20 work here, that it would be very cost-effective.

21 And I think that that's really an excellent  
22 role for the local government, is to find a way to  
23 solve a problem that has been created. And I'm very  
24 honored to introduce Mayor Nate Duckett, who is here,  
25 and he's going to talk a little bit about how this

1 came about.

2 Mayor Duckett, thank you.

3 MR. DUCKETT: Thank you.

4 (Applause.)

5 MR. DUCKETT: Well, first, I just want to  
6 say it's great to be in a room full of people who are  
7 invigorated to try and find solutions to not just the  
8 climate issue but find solutions for our workforce.  
9 And that's really why I'm here, and that's really why  
10 we have taken the steps that we've taken as a  
11 municipality, as a part owner of San Juan Generating  
12 Station to try to find solutions to keep our community  
13 whole.

14 We exist up in the northwest corner of the  
15 United States at a very energy-rich region. The San  
16 Juan Basin is known for its natural gas assets and  
17 also coal seam. The San Juan Generating Station is  
18 one of five coal-fired power plants in probably a 300-  
19 mile radius. But we employ about 1600 people in our  
20 power plant. And we exist right now in a place where  
21 natural gas prices have dropped out of the bottom of  
22 the barrel. And our former giant companies that were  
23 there providing us with property taxes and employees  
24 and wages and benefits, they've moved to other places  
25 where producing oil as a byproduct, you get natural

1 gas. And so the basin right now is sitting empty.

2 Well, then we have San Juan Generating  
3 Station, where PNM had said they would operate this  
4 until 2033. They implemented the clean coal  
5 technology on it, the BART technology to clean up the  
6 stakes, and then two years later turned around and  
7 came back and said, sorry, we're leaving. 2022,  
8 that's when we're going to be out.

9 We were in a unique position as part owner  
10 in November of 2018 to stand up and say, look, we want  
11 to stay in this, and we managed to acquire 100 percent  
12 of the ownership rights for future operations past  
13 2022. That's a pretty interesting place to be for a  
14 municipality. And we immediately, as Jason had  
15 mentioned, found a law firm here in Washington, and  
16 went out to find a merchant buyer who could possibly  
17 find another use for our power plant and our coal  
18 mine, keep those 1600 people employed, and help  
19 facilitate some economic development and some money  
20 that can go in for us to diversify our economy. And  
21 that's when we found Enchant Energy.

22 So it's a unique opportunity as a mayor of a  
23 community that has been doom and gloom since 2009.  
24 And when the writing was on the wall with PNM closing  
25 the plant in 2022, that doom and gloom became even

1 darker. Well, now we have an opportunity to shine a  
2 light on an area of our country that is known for  
3 energy. It's in our DNA. It's who we are. We  
4 provide a quality of life for millions of Americans by  
5 providing affordable, reliable, and dispatchable  
6 power, and we want to continue to do that, and Enchant  
7 Energy has given us that opportunity.

8           So we're excited about this partnership.  
9 We're excited about the future that it holds not just  
10 for the City of Farmington, San Juan County, but also  
11 the Navajo Nation. Forty percent of the workforce at  
12 the coal mine and the power plant are Navajo. If we  
13 know anything about the Navajo Nation, 50 percent of  
14 those people who live in the Nation live under  
15 poverty.

16           And we exist in a state where 55 percent of  
17 New Mexicans are on Medicaid. We're a poor state.  
18 Energy is what we have, and energy is what we produce,  
19 and energy is what we're good at. And Enchant Energy  
20 through carbon capture technology is going to help us  
21 continue that history well into the future. So we're  
22 excited to be here.

23           I have brought with me today City Manager  
24 Rob Mayes and Farmington Electric Utility Director  
25 Hank Adair. They have been integral in leading this

1 charge in negotiations and conversations with Enchant  
2 Energy. Hank actually has spent 20-plus years as the  
3 engineer manager at San Juan Generating Station, so he  
4 has an extensive background and knowledge of that  
5 operation of that plant.

6 So we're excited. I have to say this.  
7 There's a lot of synergy right now in our group. We  
8 have compiled a very, very powerful team of people to  
9 support this project. And I've just been proud to be  
10 a head of that and represent my community and the  
11 people who live there.

12 So they're here for any questions that they  
13 can answer. We're going to go talk to some senators  
14 and try and drum up some support. But I think if I  
15 take something from this meeting, I would just like to  
16 say that perception is reality. We have to change the  
17 perception of the people of the United States as to  
18 what carbon capture technology is and what the coal  
19 industry is trying to do to address those issues.

20 There are too many people working out there  
21 in our communities, in our cities who demand and need  
22 to have these jobs, and communities that are dying  
23 off. If you look at a map of America, the rural  
24 counties are shrinking, and a lot of those are energy  
25 counties. And we have to find a way to support those

1 people who make America strong.

2 So thank you for the opportunity to be here.

3 This has been an amazing conference for me. I've  
4 learned a lot, and I look forward to continuing this  
5 partnership with Enchant Energy. Thank you.

6 (Applause.)

7 MS. GELLICI: Thank you both for your  
8 pioneering efforts. I greatly appreciate that. Do  
9 you have time for a question or two?

10 MR. SELCH: Oh, yeah, we'll take the  
11 questions.

12 MS. GELLICI: A question.

13 MR. SELCH: But we have to leave because we  
14 have some appointments.

15 MS. GELLICI: Wonderful. So, Vello, if --

16 MR. KUUSKRAA: Good morning. I really  
17 enjoyed your talk, and I was curious as to whether you  
18 looked at the economics of 95 or even 100 percent  
19 capture. It would, of course, give you more tax  
20 credit, more sales of CO<sub>2</sub>, and maybe even a better  
21 story.

22 MR. SELCH: So we're actually only using the  
23 number 90 percent because that is the number in the  
24 literature, and that is also the number that Sargent  
25 and Lundy had in their study. Sargent and Lundy was

1 the engineering firm that worked with the Petra Nova  
2 plant, and they also are an engineering firm that have  
3 worked on previous projects at San Juan Generating  
4 Station. So we picked them for their expertise.

5 MR. KUUSKRAA: Right.

6 MR. SELCH: They gave us the number 90  
7 percent. From the literature, it's clear that the  
8 amount of carbon dioxide out of the stream could be  
9 higher than that, that that would consume more  
10 electricity. And we just used that number because  
11 that was in the study. But I think -- but I agree  
12 with you, I think that you could capture more, and the  
13 plant is going to be a merchant plant. And as a  
14 merchant plant, one of the aspects is that it's going  
15 to balance the value of the stream of -- the value of  
16 the CO<sub>2</sub> that goes out of one end of the plant and then  
17 the value of the electricity out of the other end of  
18 the plant.

19 MR. KUUSKRAA: Of course. There's quite a  
20 debate about that going on, and there's some work  
21 looking at the incremental costs may not be as high  
22 for going to almost 100 percent and thought of in the  
23 past. So I was just curious. Thank you.

24 MR. SELCH: Yes. It's very interesting. In  
25 addition to that, on the electricity side, in this

1 area, the electricity price is often extremely low  
2 when there's an oversupply in the middle of the day on  
3 a sunny day. And so that would be a time when it  
4 would make a lot of sense to produce more pipeline  
5 quality CO<sub>2</sub> capture, capture.

6 MS. GELLICI: And for the court reporter,  
7 that was Vello Kuuskraa that was speaking, and Holly  
8 Krutka now. Thank you.

9 MS. KRUTKA: Thanks. I was going to do it.  
10 But, yeah, Holly Krutka from Peabody. And so thank  
11 you both for those presentations, and thanks for your  
12 courage in a state that hasn't quite got up to speed  
13 on carbon capture probably. I'm just curious if  
14 you're -- you're looking at CO<sub>2</sub> sales, but what about  
15 PPAs for the electricity?

16 I mean, do you think that former owners of  
17 this plant are going to be willing to buy that  
18 electricity, carbon-free electricity? And also, what  
19 do you think the chances are of getting carbon  
20 capture? Right now, New Mexico has an RPS. What are  
21 the chances of getting that converted to a clean  
22 energy standard where carbon capture could be rolled  
23 into and included in that?

24 MR. SELCH: Yeah. So we're really looking  
25 at the financing of the project based on the CO<sub>2</sub>

1 production and the tax credits. On the front end of  
2 the electricity supply, the market in this area is --  
3 as I was mentioning, it has attached a transmission to  
4 a number of different states.

5 These states are all kind of going through  
6 flux. We think that the market will want power that  
7 is available -- is dispatchable, that is available 24  
8 hours a day, but that's also low emissions power. And  
9 that's why I was saying earlier that the coal industry  
10 needs to figure out a way that they can change from  
11 producing high emissions coal-fired power to low  
12 emissions. And I believe that there is a shortage of  
13 low emissions dispatchable power in this market and  
14 that we'll be able to find the customers when the time  
15 comes.

16 And one of the really excellent things about  
17 this project is that the ownership change is baked in  
18 in 2022, and that gives us plenty of time to find the  
19 customers. And hopefully we will get some of them to  
20 believe that low emissions power is something that  
21 they want and that they value.

22 MS. KRUTKA: Okay. Thank you.

23 MR. SELCH: Thank you, Holly.

24 MS. GELLICI: Jason, thank you very much.

25 We have time for one last question, please. Thank

1 you.

2 MR. SNAVELY: Thank you. Charles Snavely,  
3 Commonwealth of Kentucky. Could you provide a little  
4 color on the securitization part of this and who's  
5 paying that and how it affects your economics?

6 MR. SELCH: Yeah. So that is part of this  
7 thing, the ownership change. And I think I mentioned  
8 earlier that it's currently owned by a number of  
9 different utilities and that they are abandoning the  
10 plant. So there's a misnomer in the press, et cetera,  
11 that they are abandoning and shutting down.

12 They're abandoning it. So abandoning means  
13 that they have abandoned costs. And in the State of  
14 New Mexico last year, they passed the Energy  
15 Transition Act, and what that allows is for the  
16 principal utility, which is PNM, to take those  
17 stranded costs, and they can securitize them, and then  
18 it basically means that the cost of transition is  
19 decreased to the ratepayers. And that's why they have  
20 demonstrated or produced reports to the public saying  
21 that the average ratepayer in the State of New Mexico  
22 is going to save over \$7 a month in monthly bill as a  
23 result of their abandoning the power plant.

24 We're going to pick up the power plant, and  
25 we're really not part of that. But I think that it's

1 really the Energy Transition Act and the ability to  
2 securitize that allows this transition of ownership to  
3 a company that is not a public utility, and it would  
4 be a big conversation, but I don't think that carbon  
5 capture works for public utilities.

6 So one of the reasons we're kind of glad to  
7 be stepping into this situation is that there's a  
8 baked-in transition of ownership, and that is  
9 facilitated by the Energy Transition Act.

10 MS. GELLICI: Thank you, Jason, Mayor  
11 Duckett. Thank you both for your participation. As  
12 you can imagine, this type of effort, pioneering  
13 effort, these folks will have a lot of arrows on your  
14 back. But just remember we've got your back too. So  
15 we appreciate your efforts. Thank you very much.

16 (Applause.)

17 MS. GELLICI: It's my pleasure now to  
18 introduce Dr. Ian Reid, who is a combustion technology  
19 specialist with over 30 years of experience in gas,  
20 oil, and petrochemical industry. Ian has produced  
21 studies for the International Energy Agency's Clean  
22 Coal Center on lignite power plant technology, on coal  
23 beneficiation, and on non-energy uses for coal. He's  
24 currently working on uses for coal combustion fly ash.

25 Ian spent 18 years at BP as a scientific

1 specialist in the invention, development, and design  
2 of new technologies. His activities led to his  
3 authorship of more than 20 patents in the field of  
4 high-pressure oxidation that have relevance to coal  
5 gassification technologies.

6 Ian has a degree in chemistry and a Ph.D. in  
7 gas kinetics and modeling from the University of  
8 Aberdeen. And he is a fellow of the Royal Society of  
9 Chemistry and a charter chemist. We're delighted that  
10 Ian has made his way over the pond, as it were, from  
11 the U.K. to join us today.

12 As you all know, we recently completed a  
13 report for Secretary Perry on new uses for new markets  
14 for coal outside of power generation and steel  
15 making, and the report that Ian had produced was a  
16 very tremendous reference for us. So we're delighted  
17 that he's here to join us today to talk about non-  
18 energy products from coal. Please join me in  
19 welcoming Dr. Reid.

20 (Applause.)

21 DR. REID: Thank you, Janet, and thank you  
22 for inviting me to the meeting. I was really  
23 delighted that the report from the International  
24 Energy Agency was so useful to you in the preparation  
25 of your own study.

1           Let me just find the -- yeah. This  
2 presentation is a bit of an overview of the area of  
3 new products from coal. It's a very exciting area  
4 involving new carbon forms, traditional chemicals,  
5 minerals that Brian mentioned, and some environmental  
6 applications, and, of course, new materials.

7           Before I get underway, I'll just mention a  
8 little bit about the IEA Clean Coal Center, which is a  
9 technology collaboration program with the  
10 International Energy Agency headquartered in Paris.  
11 We're located in London. And we have a number of  
12 member countries and sponsors, including the United  
13 States, which is a founder member. And as citizens of  
14 the United States, you have free access to all our  
15 output.

16           And, again, before going into these  
17 individual things, I thought I would just mention some  
18 of the major changes taking place. We're obviously  
19 very aware of the geographical shift to Asia of coal  
20 use, and that includes coal use for chemicals. Energy  
21 electrification is a very important trend. Ground  
22 transport is about to take off. And much of the  
23 elements and molecules in coal can be valuable for  
24 that.

25           The rising population leading to shorts of

1 water and, in fact, our lands, again, coal can make a  
2 difference there, and as well as, of course,  
3 increasing demand for all our products.

4 The steel manufacturer changes are affecting  
5 the supply of pitch, which is important in certain  
6 products. And the electric arc furnace actually  
7 requires pitch products. And then, finally, about  
8 natural gas and oil in competition with coal, the  
9 comment here is really about the different situation  
10 in the United States to, say, China, which has a  
11 totally different picture. You're competing at \$50  
12 coal or less against -- and you have gas, 125 or maybe  
13 even less from what I've been hearing, and whereas, in  
14 China, they have to compete with LNG and have no other  
15 real natural resources.

16 The products I'll talk about today -- first  
17 of all, I just want to revisit the traditional  
18 chemicals and gassification chemicals because of such  
19 large changes that are about to take place. I will  
20 talk a little bit about carbon fiber, non-carbon  
21 materials, rare earth elements and why they're  
22 important, carbon electrodes, and the agricultural  
23 sector. And there's many others, but I'm also going  
24 to mention hydrogen at the end. It's not quite an  
25 energy-use product, but I'll cheat.

1           On the Tar chemicals -- pardon? Oh, closer  
2 to it, okay. Sorry. For the Tar chemical industry,  
3 that's really the traditional coal chemical industry.

4       And that's gradually increasing demand because many  
5 of the products are associated with construction, like  
6 phthalates for plumbing pipes or additives for  
7 concrete.

8           But the issue of the steel industry shifting  
9 to electric arc furnaces means that the supply of  
10 temperature pitch is decreasing, and that's important  
11 to many of the other products I will talk about.

12           The other sector is oxygen-blown  
13 gassification of coal. That's largely centered around  
14 the methanol-to-olefins industry, making air pollutant  
15 plastics. And these two sectors made up that first  
16 statement I had about 400,000 tons of coal -- 400  
17 million tons of coal, sorry -- from 100 million tons  
18 of products, but is about to change substantially in  
19 China. The latest information I have is that there  
20 are about 500 projects in stream that will result in  
21 around 250 million tons of products that will need  
22 three-quarters of a billion tons of coal. And that's  
23 roughly the coal production of the United States.

24           This industry is quite carbon-intensive  
25 because, when you make methanol from gassification of

1 coal, you have to reject about half of the carbon as  
2 carbon dioxide to shift the product to the methanol  
3 proportions. And also, they're going to make a lot of  
4 hydrogen for their ammonia business, and that rejects  
5 carbon as well.

6 So that's going to be a major input to the  
7 atmosphere. And they are making some attempts, having  
8 listened to the carbon capture presentations. There  
9 will be a Yulin plant capturing 400,000 tons of CO<sub>2</sub> for  
10 enhanced recovery. So that's the traditional  
11 industry, but it will have a big impact.

12 Turning to rare earth elements, we already  
13 heard a little bit about them. Just to put it in  
14 perspective, neodymium is a very important element for  
15 magnetic drives. So a 5-megabyte wind turbine will  
16 need about a ton of neodymium. And most electric  
17 vehicles will run with permanent magnets, and they  
18 will also require it. And if you want to operate  
19 above 80 centigrade, you have to add in more expensive  
20 rare earth elements, such as terbium, to maintain the  
21 magnetic properties.

22 So that's set against an annual production  
23 of about 34,000 tons. And there looks to be a  
24 deficit. The economical recoverable resources are  
25 quite limited. China is dominant, of course. There

1 are some other deposits, Australia, Greenland, and  
2 Mountain Pass Mine in California is restocking. But  
3 the issue is that the refining of these rare earth  
4 elements is restricted to China and one plant in  
5 Malaysia, which is in a lot of problems due to half a  
6 million tons of radioactive waste.

7 China tends to have quite an interest in the  
8 deposits around the world, including the new Greenland  
9 discoveries. The coal option then has really been  
10 driven by United States. There are certain deposits  
11 with 3- or 400 PPM of rare earth elements in them,  
12 compared to the usual 35 PPM.

13 The main drives are to recover rare earth  
14 elements from waste streams, such as acid mine  
15 drainage or coal tailings. And if you follow that  
16 route, you can avoid mining costs. So, basically,  
17 you're weighing up low-concentrations against the cost  
18 of mineral ores.

19 The final comment is that the environmental  
20 record in China is really atrocious. There are  
21 massive toxic lake that -- I don't think there's any  
22 renovation yet, but it's about 10 kilometers square in  
23 scale. They have shot down a number of polluters into  
24 that lake, and that has actually affected supply of  
25 rare earth elements. And, in fact, since I did the

1 report, original report, on these products, the prices  
2 have risen by about 50 percent for these elements.

3 Now NETL are the main driver for RE from  
4 coal, but they're not the only ones looking at it.  
5 And this patent from China from five years ago is  
6 probably at the start of the program here. And,  
7 essentially, what it says is that you can't do the  
8 normal mineral refinery process. The magnetic  
9 recovery floatation and separation is inappropriate at  
10 these low concentrations. So what they proposed was  
11 to grind it with a fluxing agent to obtain the rare  
12 earth elements.

13 Similarly, a plan came out from the U.S.  
14 using aluminum phosphate as a fluxing agent. But I  
15 feel that is the wrong approach because to heat all  
16 the coal to get very small amount of rare earth  
17 elements doesn't seem right. The picture on the right  
18 is Professor Honaker at University of Kentucky's acid  
19 leaching and solvent recovery system for rare earth  
20 elements. And what it's going to boil down to really  
21 is the economics of this recovery.

22 Moving on to carbon fiber, carbon fiber has  
23 revolutionized the aircraft industry. The Dreamliner  
24 flying direct to long destinations, it's only possible  
25 because of carbon fiber, because of the lightness and

1 the strength. I've put a few figures down at the  
2 bottom, about four times the tensile strength of steel  
3 from this pitch fiber product, DIALEAD, which is a  
4 high-volume product for pitch fiber.

5 The implications for ground transportation  
6 are interesting, though, because the -- to give a  
7 price of carbon fiber without any legal  
8 implications -- I just got it off the Internet -- \$50  
9 per pound, and steel under a dollar. So that's a big  
10 gap to make, and explains why electric cars at the  
11 moment are refitted with batteries essentially.

12 But there is a range issue, just as there  
13 was for airplanes, on these vehicles. And putting a  
14 half-ton battery pack could be compensated for by  
15 carbon fiber. Now, \$50 against one, yes, but you need  
16 less material. So immediately we're down to about a  
17 quarter of the 50. And if we can improve the strength  
18 of pitch fiber, reduce the cost of feedstock, because,  
19 unfortunately, it has risen because of the source of  
20 pitch, and also improve the quality of pitch fiber,  
21 then that gap could narrow substantially.

22 But I take a point from Brian that the first  
23 applications will be composite materials, you know,  
24 reinforced concrete and such like. And that's  
25 actually quite a theme in new carbon products for

1 early application.

2 I'm not going to say too much about  
3 electrodes except for this. They've been through a  
4 peak in pricing. There was a crisis in the supply of  
5 graphite with some manufacturers withdrawing, and a  
6 surge in demand. And it takes about three months to  
7 make a two-ton graphite electrode and about eight  
8 hours to consume it in an electric arc furnace. And  
9 so that explains the huge surge in prices.

10 They are settling, and an expectation that I  
11 saw a few months ago is around \$5,000, and I saw  
12 \$4,000 for pitch-type electrodes. Most electrodes  
13 include pitch in their manufacturer as a binder, so  
14 around 200,000 tons with that alone. But, in Japan,  
15 they make graphite electrodes from coal. And the  
16 market is set to -- market demand for graphite is set  
17 to increase markedly because each factory parking  
18 electric vehicle needs about 70 kilograms of graphite.

19 And it's a low-temperature use, and pitch-based  
20 graphite might be suitable.

21 Let's see. Moving on to carbon nanotubes  
22 and graphene, when I reported on this, I said, well,  
23 carbon nanotubes, which are nano-scale long tubes of  
24 carbon, about 1,000 to 1 aspect ratio, could be made  
25 from CO or acetylene or other gassification products.

1       So it might suit a China situation but actually not a  
2       direct use of coal.

3               The interesting thing, though, is that  
4       there's already a \$2 billion market for carbon  
5       nanotubes, which is set to increase, and graphene is a  
6       direct competitor material. The difference is that  
7       where carbon nanotubes really only have properties in  
8       a nano scale, graphene covers all scales. It's at an  
9       earlier stage but with more promise. And,  
10      essentially, it's just a single sheet of atoms made up  
11      of six member rings.

12             Now I'd like to talk about graphene quantum  
13      dots first made from coal. Bituminous coal contains  
14      flakes, tiny flakes, of graphite and now the diamonds  
15      and things like that because you have crystals of  
16      carbon in an amorphous matrix. If you can remove the  
17      amorphous matrix, then you're left with tiny fragments  
18      of graphene. That can be collected and separated and  
19      used for -- well, color filters I have there. And I  
20      put this price down here because \$50 per milligram  
21      compared to \$58 for coal. But, actually, it's  
22      slightly less than that in reality.

23             The first -- this work comes out of Rice  
24      University, and the company developing it is Dotz  
25      Nano in Australia. The first application is to

1 prevent fraud. Quantum dots can be added to a polymer  
2 product, and that can then be used to identify the  
3 product as being a genuine one. That's a major  
4 problem with replication in various countries.

5 Now that principal of etching away the  
6 amorphous coal is essentially the processes that you  
7 get to make graphene sheets. There are two methods  
8 that are shown here at the moment. The obvious one  
9 was the electrochemical route, and there's now a  
10 molten salt route.

11 The problem with them is that a feeling that  
12 the application -- the process had come ahead of  
13 applications and we're waiting for uses for the  
14 material. But they did make a graphene sheet, you  
15 know, about this size, and that is a game changer for  
16 coal to products.

17 Some of the applications are amazing, but  
18 one of them is relevant to the CO<sub>2</sub> sequestration that  
19 was discussed earlier, and that is a group in Lausanne  
20 in Switzerland have applied a polymer layer to  
21 graphene and are using that as a membrane to separate  
22 carbon dioxide. I don't know if that came up in the  
23 computer analysis, Brian, but it would be interesting  
24 if it did. But it's got some nitrogen flushing to  
25 keep the membrane open, which is a critical problem

1 with membranes.

2 Moving on, there's already an industry that  
3 mines natural humate in New Mexico for fertilizer.  
4 There's an industry in China that makes potassium  
5 hydroxide with lignite, mixes the potassium minerals  
6 with lignite to make a humate fertilizer, sells around  
7 700 to \$800 as far as I can tell from the Internet.

8 That product isn't as good as the one I'm  
9 going to talk about here, where oxygen is reintroduced  
10 into a humate molecule and using what they call  
11 oxidated ammonolysis. Fairly mild conditions, but  
12 provides a material that would be extremely useful to  
13 address acidification. And I don't know if you've  
14 been following the UN reports, but last month there  
15 was a report about a serious problem in the fertility  
16 of our soils due to acidification, drought conditions,  
17 loss of carbon from soils. And this is a means to  
18 reintroduce it and could be quite a large volume use  
19 of lignite

20 Yes. So I've got a summary slide here, but  
21 the essential message from it is the versatility of  
22 coal as a potential feedstock outside of combustion.  
23 The gas to chemicals in the gassification industry in  
24 China is going to be a game-changing scale. Very  
25 quickly, it will exceed 1-1/2 billion tons of coal.

1 RE from coal will depend on the economics of  
2 the process, but environmental control is going to be  
3 absolutely required in the United States given the  
4 history of the industry.

5 Carbon fiber, yes, I think the key thing for  
6 the transport revolution that we're just about to  
7 enter -- I read that Ford is exporting only electric  
8 car vehicles to Europe in the next period. And,  
9 actually, all companies are gearing up to provide  
10 electricity. It is going to happen. But steel is not  
11 the right answer for these cars for range. But  
12 there's a gap in the cost of carbon fiber.

13 Activated carbon electrodes -- activated  
14 carbon is a very nice product to have in combination  
15 with the production of pitch for everything else. In  
16 new technologies, I think it's graphene, not CNTs,  
17 that's going to have most of the opportunities.  
18 They're already doing another composite material with  
19 graphene to fix holes in roads. They don't last that  
20 long. It's a mundane use with a billion dollar price  
21 tag. And then humates, of course.

22 But I'm going to turn to hydrogen now.  
23 Hydrogen -- the idea of a hydrogen economy has been  
24 around for about 50 years. We've had three or four  
25 attempts to introduce hydrogen. But is this the right

1 time for it? Japan thinks so. They're gearing up to  
2 put in a hydrogen infrastructure. Toyota and Honda  
3 are producing hydrogen fuel-cell vehicles. And the  
4 reason is concern over the resources needed for  
5 battery packs for electric vehicles. Lithium and  
6 cobalt are both in limited supply. The companies are  
7 scrambling to get a hold of those resources at an  
8 early stage. The problem they have is electrolysis  
9 costs far too much. It's more than double the cost of  
10 doing a full process, gassifying lignite in Australia  
11 and transporting it cryogenically to Japan.

12 So they're going to cool hydrogen down to 20  
13 Kelvins. And the attraction to Australia, of course,  
14 is a completely stranded lignite asset for something  
15 maybe familiar to this audience.

16 The numbers are a bit frightening in that  
17 you need for -- the way I've done it is three tons of  
18 hydrogen for 100 tons of carbon dioxide emission. And  
19 that needs 160 tons of lignite. The numbers are  
20 enormous.

21 Other countries, though, are very  
22 interested. China already produced hydrogen from coal  
23 in vast quantities, and the plans for the future  
24 increase that markedly. And so they're in a position  
25 to switch between hydrogen and ammonia. The EU are

1 interested in substituting at least partially for  
2 natural gas, a natural gas system with hydrogen. And  
3 I think I did some work some time ago where a certain  
4 percent hydrogen could be easily accommodated without  
5 changing the combustion characteristics very much.

6 There are hydrogen storage issues,  
7 especially onboard vehicles. At the moment, vehicles  
8 have to have 700-bar tanks, which are made of carbon  
9 fiber composites. But there is work to reduce that to  
10 address the economics of the hydrogen system because  
11 it adds to the infrastructure cost to pressurize to  
12 those levels.

13 Brian mentioned methyl organic frameworks,  
14 and there is research on hydrogen storage involving  
15 those, so potential solutions.

16 So I'm going to stop there, but I hope I've  
17 given you some thoughts. There are high-volume uses.

18 There are specialist uses where the costs are a  
19 million dollars per kilogram. And so there's the  
20 whole range. I think carbon fiber could be enormous,  
21 but it needs to narrow the gap on cost.

22 MS. GELLICI: Thank you.

23 (Applause.)

24 MS. GELLICI: I'll ask if there's any  
25 questions for Ian. Yes. Thank you, Jackie.

1 MS. BIRD: Hi. Jackie Bird. Thank you,  
2 Doctor, for joining us today. Just you didn't touch  
3 on it, so I'm curious about it. At one point, there  
4 was research into looking at carbon fibers for  
5 electric transmission lines because it would be less  
6 electrical resistance and less line loss and therefore  
7 improved efficiencies and less cost. Can you address  
8 that, or, if it's not in your bailiwick, maybe our  
9 NETL brethren can address it.

10 DR. REID: Yeah. It is true that pitch  
11 fiber has got very high thermal conductivity and  
12 electrical conductivity. But also, graphene could be  
13 interesting in a kind of application because of its  
14 properties. So, yes, it is possible, but I'm not sure  
15 how much research is going on. Maybe Brian -- Brian's  
16 nodding. I think he probably knows.

17 DR. ANDERSON: Agree.

18 DR. REID: Yeah, yeah.

19 MS. BIRD: Okay. Thank you.

20 MS. GELLICI: Other questions for Dr. Reid?

21 Outside of technical challenges and cost  
22 reductions, are there other -- do you see other  
23 barriers or challenges to getting some of these uses,  
24 new uses, for coal put in place?

25 DR. REID: Well, I think that -- yeah, when

1 I contacted the Graphene Institute, can you make  
2 graphene from coal, they said no. So there is some  
3 definite perceptions out there that some of these  
4 things are not possible. But you can do it. The kind  
5 of application that makes for quantum dots, that's a  
6 fairly easy application to do. If you want to do  
7 medical imaging within humans, then there's going to  
8 be medical trials and more barriers.

9 The coal gassification industry in China is  
10 going to more than double within five years. It's an  
11 enormous undertaking and shows that, you know, if  
12 there is a desire to do it, it can be done. Yeah.  
13 And it's a competitor with gas, yeah.

14 MS. GELLICI: And can you tell us where your  
15 future work or that of IEA will be going in this area,  
16 what's planned for the future?

17 DR. REID: Well, yeah. The IEA Coal Center  
18 really looks across the piece, but clean coal  
19 technologies is at the core of the center. So, you  
20 know, efficiency, emissions, that kind of thing. But  
21 we are beginning to look a bit further ahead. And the  
22 special properties of carbon, the allotropes of  
23 carbon, these were completely unknown 20, 30 years  
24 ago. It's only buckminsterfullerene that's opened  
25 people's eyes to the special structures that are in

1 coal. And CNTs have been around for nearly 20 years.  
2 They are now a significant market. Graphene, we've  
3 known about it for less than 10 years. And  
4 applications are coming out. It's the most patented  
5 material there's ever been. But, of course, there's a  
6 gap between commercializing applications and reception  
7 of. Yeah.

8 MS. GELLICI: Would you please join me in  
9 thanking Dr. Reid.

10 (Applause.)

11 MS. GELLICI: I'm going to turn the program  
12 back over to Tom in a moment for the closing out of  
13 our meeting, but I wanted to extend a few thank yous  
14 to folks. Danny Gray, chair of the National Coal  
15 Council; Randy Atkins, vice chair, thank you both for  
16 your support, a lot of extra effort involved. Thank  
17 you.

18 (Applause.)

19 MS. GELLICI: And I think Horinthia is still  
20 outside, so if you'll join me in thanking -- clapping  
21 loud for Horinthia and thank her for all of her  
22 support. We greatly appreciate it.

23 (Applause.)

24 MS. GELLICI: Steve Krinsky, thank you so  
25 much for your sponsorship of this event. It's greatly

1 appreciated. We have a number of other sponsors  
2 listed on your program, but a big shout out to Steve  
3 for your event sponsorship. Thank you so much for  
4 that.

5 (Applause.)

6 MS. GELLICI: There are evaluations on your  
7 desks, if you could kindly complete those. We will  
8 also be recycling name tags, and we will be sending  
9 you an electronic version of the evaluations. So we  
10 would appreciate your doing that.

11 We are in the process of conducting a new  
12 report for the Secretary. Secretary Perry has asked  
13 us to provide -- prepare a report assessing  
14 technologies in support of coal generation  
15 technologies, so what kind of policies can be put in  
16 place to accelerate technologies for new coal plants,  
17 for existing coal plants that can be put in place.

18 I would remind those members of the National  
19 Coal Council who have been appointed by the Secretary  
20 that part of your appointment involves getting  
21 engaged. So we greatly appreciate your support. So I  
22 learned a new word this week, not volunteer but  
23 voluntold. So we will be voluntolding you if we don't  
24 hear from you. But please do consider where you can  
25 contribute with your expertise.

1           So, with that, I'd like to just conclude by  
2           thanking Tom Sarkus, who is our deputy designated  
3           federal officer, for the tremendous job he does. This  
4           is a lot of work overseeing a FACA. And, Tom, we  
5           greatly appreciate your help with that. Thank you.

6           (Applause.)

7           MR. SARKUS: Thank you. It is now time for  
8           the public comment period. As stated at the beginning  
9           of the meeting, the Department of Energy cares about  
10          public viewpoints and wants to hear from you.

11          In the *Federal Register* announcement that we  
12          posted several weeks ago, we offered any party the  
13          opportunity to provide a written statement that could  
14          be read at this event. We did not receive any written  
15          statements. We have also set aside time at this  
16          meeting for any individual who wishes to speak  
17          directly at the meeting.

18          As you walked in, there was a sign-in sheet,  
19          and nobody on the sign-in sheet requested speaking  
20          time. So, at this time, anyone wishing to speak can  
21          be heard by raising your hand, and we'll have someone  
22          with a microphone come over to you. If there are many  
23          individuals who wish to speak, we may have to close  
24          the public comment period and ask the remaining folks  
25          to submit their comments in writing. And those

1 comments will be included in the meeting minutes as an  
2 addendum.

3 Please limit your comments to five minutes  
4 before speaking. Please state your name and  
5 affiliation. So let's get started. Are there any  
6 people who would like to go on the record and provide  
7 comments?

8 (No response.)

9 MR. SARKUS: Seeing none, I will move into  
10 the closing remarks. Again, thank you, Janet.

11 It is now time to conclude our meeting. I  
12 want to thank everyone for making this assembly a  
13 priority and for traveling long distances. We need  
14 you to participate. We need you to attend the  
15 meetings. Some of you have traveled from across the  
16 country to attend and participate, and we really  
17 appreciate that. Your cooperation and input have been  
18 invaluable in helping to make this a very successful  
19 meeting. We look forward to seeing all of you on  
20 April 23rd and 24th of 2020 at the Hyatt Regency in  
21 Bethesda, Maryland.

22 This meeting is now officially adjourned.

23 (Applause.)


24 (Whereupon, at 12:05 p.m., the meeting in  
25 the above-entitled matter adjourned.)

REPORTER'S CERTIFICATE

DOCKET NO.: N/A  
CASE TITLE: National Coal Council Meeting  
HEARING DATE: September 12, 2019  
LOCATION: Washington, D.C.

I hereby certify that the proceedings and evidence are contained fully and accurately on the tapes and notes reported by me at the hearing in the above case before the United States Department of Energy, Office of Energy Efficiency & Renewable Energy.

Date: September 12, 2019

A handwritten signature in cursive script, appearing to read "David Jones", is written over a horizontal line.

David Jones  
Official Reporter  
Heritage Reporting Corporation  
Suite 206  
1220 L Street, N.W.  
Washington, D.C. 20005-4018