

PARTICIPANTS: (Cont'd.)

KEYNOTE SPEAKER:

MARK MENEZES, Undersecretary
U.S. Department of Energy

PRESENTATIONS:

SETH SCHWARTZ, President
Energy Ventures Analysis

WILLIAM WEST, President
Arq Limited

NICOLA FERRALIS
Massachusetts Institute of Technology

PETER REINECK
Peter Reineck Associates, Limited

P R O C E E D I N G S

(8:30 a.m.)

MR. WINBERG: It is that hour, folks, so if I could ask you to take your seats. Well, good morning, everyone. I hope everyone got a good night's rest. We're going to have a pretty busy morning this morning, but I think it's going to be a very positive and a lot of opportunities out there to get a lot of things done.

So we had an excellent dinner, and outstanding speaker yesterday evening, and I know we're all eager to have a good meeting today. So I hereby call the spring 2019 meeting of the National Coal Council to order. For 35 years -- it's the 35 year anniversary, so that's worth noting -- this National Coal Council has provided expert advise, counsel, and guidance on a broad range of coal-related policy issues, everything from technology to energy security.

Representing the broad diversity of coal interests, the National Coal Council has always been counted on to provide solid, reliable, and balanced analysis and counsel. And because of that, you have earned the respect of the industry that you represent and the policymakers that you advise. You should be

1 proud of your work. I know I'm very proud to be
2 associated with you.

3 Before we get started, I want to welcome
4 Undersecretary Mark Menezes, who will provide keynotes
5 remarks this morning.

6 So, Undersecretary, thank you for joining us
7 this morning.

8 Michelle Sneed is -- Michelle? Yeah.
9 Michelle Sneed is also here with us today. Michelle
10 works in Secretary Perry's office, where she is the
11 director of DOE's Office of Secretarial Boards and
12 Councils. NCC is just one of 22 boards and councils
13 that Michelle keeps track of, so I think it's pretty
14 obvious that she -- she has a busy day.

15 But we do thank you for taking your time to
16 be with us here today.

17 Allison Mills, deputy director of the Office
18 of Secretarial Boards and Councils -- Allison, are you
19 here? Ah, there you are. Okay. Good to see you.
20 Good to have you with us.

21 We also have Fadi Shadid, a senior economist
22 with the EIA, Energy Information Association.

23 Are you with us? Ah, okay. Thank you for
24 joining us.

25 I also want to acknowledge some of our

1 leaders in the Office of Fossil Energy and NETL who
2 have joined us this morning: Lou Hurtman, our deputy
3 assistant secretary for Clean Coal Carbon Management.
4 Lou? There he is. We have Angelos Kokkinos, who is
5 the associate deputy secretary for Clean Coal and
6 Carbon Management. Ang, where are you? There he is
7 over there.

8 And we have Doug Metheny, who splits his
9 time as senior policy advisor to me and also Secretary
10 Perry. And so you can imagine who gets most of his
11 time.

12 (Laughter.)

13 MR. WINBERG: Doug is over here.

14 And from NETL, I want to welcome -- a
15 special welcome to Director Brian Anderson.

16 Brian, stand up so people know who you are?
17 You're more new among -- thank you for being here
18 today.

19 Joe Giovi, who has served as the deputy
20 designated federal official, or DDFO, for about the
21 last year or so, has done a tremendous job.

22 Joe, where are you? Okay. Thank you for
23 working with us on NCC and keeping this smooth and
24 making for a nice transition.

25 I also want to acknowledge Tom Sarkus. Tom

1 is another deputy DFO, sitting up here in the front.

2 Stand up because people -- you're the one
3 people are going to deal with. So he is in the
4 process of assuming the primary day-to-day duties from
5 Joe, so we're in a transition, but Tom has worked very
6 hard with Janet to pull all this together, so Joe and
7 Tom, thank you very much.

8 And thanks, of course, goes to our outgoing
9 chair, Deck Slone, and our Vice Chair, Danny Gray,
10 for their service. We want to thank you for your
11 service on the NCC. And Janet Gellici, who works
12 tirelessly on behalf of the NCC, and as well as
13 Horinthie Stanford. Are you -- there she is. I
14 missed you last night, so, Horinthie, thank you so
15 much because we all know who does the hard work.
16 Thank you.

17 (Applause.)

18 MR. WINBERG: And then I want to thank all
19 the members and prospective members of the NCC for
20 your service. And finally, I'm pleased to see members
21 of the public here as well. I appreciate your
22 interest in the topics that we will address today.

23 Before we move on, I want to call NCC
24 incorporated legal counsel, Eric Hutchins with Hunton
25 Andrews & Kurth to provide us with an important

1 antitrust advisory that should be considered from the
2 outset of our activities. And I think he's joining us
3 by polycom. Is that, right, Janet?

4 MS. GELLICI: Fred Eames with Hunton Andrews
5 & Kurth that's going to give us an antitrust advisory.

6 MR. EAMES: It's a good thing I keep this
7 handy right here on my phone. As I'm sure you already
8 know, at meetings such as this, everything
9 competitively poses an antitrust risk. To assist the
10 National Coal Council members in both avoiding
11 antitrust violations, and preventing the appearance of
12 a violation, you will abide by the following
13 guidelines: Do not in fact or appearance discuss or
14 exchange information with actual or potential
15 competitors regarding any of the following matters,
16 either before or after the National Coal Council
17 sponsored meeting or social gathering. Don't even
18 talk about any of these topics. What you say in jest
19 now may look very different on paper if you have to
20 repeat the quote in a deposition.

21 The topics to avoid include prices, costs,
22 margins, discounts, customers, and corporate plans.
23 Unless the information is already public, don't talk
24 about new products you plan to offer in the future.
25 They'll talk about products or services you plan to

1 discontinue. Don't talk about the design, production,
2 manufacture, distribution, or marketing of any
3 products or services.

4 The U.S. Supreme Court has recognized that
5 competitors can band together to attempt to influence
6 legislative action. Lower courts have extended this
7 beyond legislative actions to include efforts such as
8 preparing joint presentations to influence other
9 governmental agencies. This is called the Noerr-
10 Pennington Doctrine. Its bonds are sold in --

11 (Technical interference.)

12 MR. EAMES: -- if you're fixing prices even
13 in the context of this type of meeting.

14 If at any time you feel that the National
15 Coal Council has strayed from these guidelines, please
16 interrupt the meeting.

17 MR. WINBERG: Thank you, Fred. Good
18 counsel, as always.

19 This morning we will conduct an election for
20 the positions of chair and vice chair. Then following
21 Undersecretary Menezes keynote address, we'll get a
22 presentation on coal's national security role. And
23 following that, we will announce the election results.
24 And then following a break, we will have additional
25 speakers.

1 Now, just one note. This meeting is being
2 held in accordance with the Federal Advisory Committee
3 Act and the regulations that govern that act. A
4 verbatim transcript of this meeting is being made.
5 Therefore, it is important that you begin by stating
6 your name and your affiliation.

7 We will also have a public comment period at
8 the end of the meeting to ensure that those not
9 formally on the agenda are able to give their views.

10 Having said that, I would like to welcome
11 guests from the public who have joined us today. And
12 I would like you to know that the Department of Energy
13 welcomes your input on the topics that we are being
14 briefed on today. Counsel members have been provided
15 with a copy of the agenda for today's meeting. I
16 would appreciate having a motion for the adoption of
17 the agenda. Do we have a motion?

18 FEMALE VOICE: Clark Harrison, first.

19 MR. WINBERG: Do we have a second?

20 FEMALE VOICE: Dan Roling, second.

21 MR. WINBERG: Okay. Thank you. All in
22 favor?

23 (Chorus of ayes.)

24 MR. WINBERG: Any opposed?

25 (No response.)

1 MR. WINBERG: Okay. Thank you for that.

2 And so the agenda is now officially adopted.

3 So from here, what I would like to do is ask
4 -- Deck, are you --

5 MR. SLONE: Yeah.

6 MR. WINBERG: -- Deck Slone to introduce
7 Undersecretary Mark Menezes.

8 MR. SLONE: Thank you, Steve, and great to
9 be here. Thanks to everyone for turning out. It's a
10 great group and a great turnout. I'm really thrilled
11 to have this opportunity to introduce Mark Menezes.
12 Just a great honor to have him here with us. As Steve
13 said, he is the undersecretary of Energy and the
14 principal advisor on energy policy with this
15 administration. And we all know what a sharp focus
16 this administration has on energy generally and coal
17 specifically, and what a force they have been in our
18 space, and so really pleased to have Mark with us.

19 He is responsible for a wide array of
20 existing and emerging energy technologies in this role
21 and in driving transformative energy policy and
22 technology solutions, as well as the coordinated
23 planning, management, and performance of the
24 department. He -- prior to this, of course, had a
25 very significant career in the private sector. He was

1 an executive at Berkshire Hathaway here in D.C. He
2 was a partner at Hunton & Williams, and we all know,
3 obviously, where he headed regulated markets and the
4 Energy Infrastructure Group, was chief counsel for a
5 key subcommittee of the House Energy and Commerce
6 Committee prior to that, was the chief negotiator for
7 the House majority in the enactment of the Energy
8 Policy Act of 2005. And before that, he was an
9 executive at AEP and one of its predecessors.

10 So if you're getting the idea that he's
11 well-credentialed, he's well-credentialed, really
12 quite impressive career. He has been a speaker and
13 lecturer and author, frequently quoted in the *New York*
14 *Times* and *Politico*, so a commenter on the scene here
15 for quite some time, and somebody who is just highly
16 engaged in the energy space.

17 And then just among his awards, he has been
18 named best lawyer in America, corporate counsels
19 top -- among corporate counsels top lawyers,
20 *Washington Post* top lawyers, my favorite, D.C. super
21 lawyers, which sounds like a super hero, 24 times.
22 And so again, really quite impressive CV. He's an LSU
23 Tiger, got his JD there, good basketball season,
24 number one in the SEC, above Kentucky and Auburn,
25 which is quite impressive. So well done on that

1 front, too.

2 But really thrilled to have Mark with us.
3 And so please help me welcome Undersecretary Mark
4 Menezes.

5 (Applause.)

6 MR. MENEZES: Good morning. Thank you,
7 Deck, for that introduction. I did ask you to keep it
8 brief. It seems as though I've all over the place. I
9 think I can keep a job. At least I'm very fortunate
10 that the U.S. Senate unanimously confirmed me as
11 undersecretary. So I do appreciate those remarks, and
12 I appreciate the opportunity to be here today with
13 you.

14 Before I get started, I'd like to join
15 Secretary Winberg in recognizing your 35th anniversary
16 today of being in existence. That's a tremendous
17 accomplishment. It's one of our oldest and storied
18 FACAs, and we do appreciate that very much. We have
19 let it be known to the White House and to OMB the
20 significance and the importance of this organization
21 to the department, indeed to our nation.

22 I'd also like to recognize Janet's service
23 to this organization. Janet, it has been great
24 working with you over the years, and the success of
25 this organization really is a tribute to your skills

1 as a manager and a leader, and thank you very much. I
2 just wanted to recognize that.

3 (Applause.)

4 MR. MENEZES: And I'd also like to take a
5 moment, too, to commend the National Coal Council on
6 your most recent reports. The power reset report and
7 the report on the advancing U.S. coal exports that you
8 released last October underscores just how important
9 the NCC remains and continues to lead the conversation
10 on today's coal and any future of coal.

11 I especially want to highlight your
12 recommendation for optimizing the existing fleet,
13 particularly the regulatory reforms that you have
14 suggested. We also appreciate greatly your ideas on
15 spurring investment in coal generation, which
16 reinforce our department's focus on innovative
17 technology for coal-powered generation. And we're
18 grateful for your recommendations on boosting
19 America's exports of coal.

20 We're also excited about the upcoming report
21 on coal in a new carbon age, and we look forward to
22 seeing that final version. And finally, I'd like to
23 recognize your contributions and participations with
24 the ongoing CCUS study with the National Petroleum
25 Council. It was important that when we asked the

1 National Petroleum Council to look at CCUS and do a
2 very deep dive, that we asked that there be robust
3 collaboration with this organization. We know that
4 they're anticipating getting -- finalizing that report
5 in the fall, and so we hope that this organization is
6 in full collaboration with them, because we do think
7 that this report will set the stage for probably the
8 next generation as to the future of coal, particular
9 with the CCUS, and particularly focusing on the
10 utilization aspects of that. So thank you for that.

11 And again, just on behalf of Secretary
12 Perry, I just want to give you a huge, big thank you
13 and a shout-out for your appreciation for all the work
14 that you really have done for us.

15 So this morning, I'd like to talk about what
16 we at DOE are doing with respect to American coal. We
17 are very fortunate to be led by Steve Winberg. He has
18 just been a rockstar on these issues. His support and
19 understanding of these issues have been valuable. The
20 secretary, the deputy, and all of DOE management,
21 indeed the White House relies on Steve's expertise and
22 his ability to reduce complex problems into an
23 understanding that we can appreciate.

24 And, Steve, I just wanted to thank you, too,
25 for your service and your willingness to serve.

1 (Applause.)

2 MR. MENEZES: So as you note in your report,
3 the worldwide coal trade has more than doubled since
4 2000. Moreover, our EIA projects that worldwide coal
5 consumption will remain solid and stable between 2015
6 and 2040. And the reason for this is clear. Coal is
7 what it has always been, an abundant, affordable
8 energy source, but also a reliable source that
9 provides solid, around-the-clock, both here and
10 abroad.

11 Last year, according to the EIA, we've
12 exported 116 million short tons, the second year in a
13 row that coal exports have risen. And that was up
14 from 97 million short tons in 2017. Here at home,
15 coal still provides about 30 percent of our
16 electricity. And last year's extreme cold spell on
17 the East Coast and most recently in the Midwest
18 underscores its importance as a 24/7, 365 day a year
19 source of reliable and resilient power.

20 During that time, during both the East Coast
21 cyclone bomb and during the Midwest, we have seen coal
22 provide almost one half of the incremental daily
23 generation across the affected region. And there is a
24 reason for this. What we have seen time and again, is
25 that when our system is stressed, when people need

1 energy the most, coal comes to the rescue. It is coal
2 that provides that incremental increase of generation
3 that was not anticipated during the times of stress.
4 We see renewables go to negative numbers. We see
5 natural gas spike to prices that are so high that
6 fuel-switching occurs.

7 In the Northeast, these units switch from
8 natural gas to oil. Oil use increases. Coal, those
9 peaking units that historically might have -- were in
10 reserve, they come on, and they provide that power
11 that is needed when people need it the most. There is
12 no doubt about that. You should be very proud that
13 when we need energy the most, coal is the most
14 reliable source of power that we have.

15 So in short, any nation that is serious
16 about ensuring a reliable, resilient, and stable
17 electric grid neglects the value of coal at its peril.
18 Now, as everyone in this room knows only too well,
19 coal faces more than its share of difficult
20 challenges. But I've always thought that we could
21 meet these challenges if right here in Washington, we
22 followed the simple formula of supporting more
23 innovation and less regulation.

24 And the good news is that today we have a
25 president who is completely onboard with this formula,

1 for coal and for every other energy source we have.
2 The president's America First energy plan wisely aims
3 to develop, produce, and use, and export as wide a
4 range of energy resources as possible. Just two days
5 ago, I had the great fortune to accompany the
6 president on Air Force One down to Texas to sign his
7 executive order, which did several things.

8 It addressed the misuse of states in section
9 401 of the Clean Water Act. It put in place a process
10 to evaluate how to remove the barriers to export our
11 resources on the West Coast. We should all step back
12 and realize what is happening. Creative
13 interpretations of environmental laws that were never
14 designed for this use is being interpreted as a way to
15 stop the export of U.S. resources to our friends and
16 allies across the world due to parochial interests by
17 states that have the possibility of blocking all
18 exports on our West Coast.

19 Think about that. That is what is going on
20 right now with the current interpretation of certain
21 states under our federal environmental laws. This EO
22 tries to address that.

23 The other thing the executive order also had
24 was recognizing the importance of the resources in the
25 Appalachian region. Coal is obvious. The uses of

1 coal -- and, Fred, I hope I'm not violating any
2 comments about new products of coal. But the fact is
3 coal is a great source in the petrochemical space as
4 well. So it can be a feedstock for, you know, many of
5 the same products that the natural gas liquids coming
6 out of the shale plays are in that region.

7 So the president recognizes that, and he has
8 put in place a way to assess those opportunities and
9 how to remove investment and regulatory barriers to
10 increase the investment and the production in that
11 region of the country.

12 And faced with the issue of cleaner energy,
13 the president does not believe we should regulate
14 fossil fuels, including coal, out of existence as some
15 people are now appearing to advocate. Instead, he
16 supports harnessing the full power of innovation to
17 make these critical fuels cleaner. Rather than
18 driving down fuels that produce emissions, the
19 president wants to drive down emissions while
20 producing those same fuels. He wants to continue the
21 technological process toward cleaner coal that across
22 the decades has reduced emissions, certain emissions,
23 by 90 percent and higher.

24 So what is our strategy for supporting coal?
25 Basically, through developing and deploying innovative

1 technology, we seek to do the following things. We
2 seek to improve and modernize the coal-fired plants of
3 today. We seek to lay the groundwork for the coal-
4 fired plants of tomorrow. We want to advance the
5 commercial deployment of carbon capture utilization
6 and storage technologies, and we need to address the
7 water issues in coal-fired power plants as well as in
8 oil and natural gas development.

9 So let's take a look at the first two of
10 them and how we're making today's fleet more
11 efficient, and how we must bring advanced coal plants
12 online as our current fleet retires. There is no
13 question that today's fleet of coal-fired plants are
14 aging rapidly. As you note in the power reset report
15 nearly a quarter of the U.S. coal generation capacity
16 was retired between 2005 and 2017.

17 And since we're looking at 240 retired --
18 planned retirements between 2013 and 2020, that leaves
19 us with just over 530 units scheduled to be operating
20 after next year. And we've seen how these retirements
21 can affect the grid. Most dramatically, last summer
22 we saw Texas, recordbreaking summer, electricity
23 demand coupled with these retirements of the three
24 large coal plants. At one point in July, real-time
25 electricity prices peaked as high as \$2,116 per

1 megawatt hour.

2 So over the past year alone, we have seen
3 just how important coal is to the grid reliability,
4 and we've gotten a glimpse of how a future where coal
5 plants leave the grid, it's a future that should be
6 deeply concerning to all of us.

7 So that's why we are focused on increasing
8 the efficiency of existing plants so as to extend
9 their lives and ensure that they can operate on an
10 evolving grid that is accommodating more and more
11 intermittent renewable generation.

12 If you're not aware of it, all new electric
13 generation in the U.S. today, with the exception of
14 the nuclear AP-1000 Vogel facility in Georgia, all
15 new, new generation, is renewables and natural gas.
16 We're not building any new coal fleets. And other
17 than the AP-1000 Vogel plant, unless economic
18 conditions change, we're not going to be building. We
19 have no plans to build any large nuclear facilities.

20 Now, some of you have been around long
21 enough to have seen this movie before. We saw this in
22 the '90s when we switched to all -- to natural gas,
23 for good reasons, I mean, increased efficiencies and
24 the combined-cycle units. And the availability of gas
25 is a good thing. But it appears, if you just look at

1 what NERC studies have done, PJM itself, its modelings
2 show that we are becoming over-reliant on natural gas,
3 which as we know cannot be delivered like coal can be.
4 It has to be delivered over pipelines. And we know
5 that it's not easy to get any natural gas pipelines
6 built in this country. Indeed, we see states that I
7 had referenced before stopping interstate natural gas
8 pipelines.

9 So, our modeling is showing this potentially
10 over-reliance on natural gas. A pipeline goes down.
11 You're not talking about 600 megawatts of coal
12 facility or 1,200 comes off. You're talking about
13 35,000 megawatts of power. So it's important that we
14 continue to have operating facilities that have onsite
15 fuel generation that can be called upon when needed.

16 So to that end, we're working on a suite of
17 advanced processes and technologies to improve the
18 efficiency and the competitiveness of existing coal
19 plants. We're also focused on improvements to
20 critical components, like turbines and boilers, and
21 we're developing data and analytics and the modeling
22 to ensure these improvements and upgrades are
23 coordinated and optimized to achieve the best results
24 possible.

25 At the same time, we're preserving today's

1 coal-fired plants. We need to begin developing the
2 plants of the future, plants that are cleaner, very
3 efficient, and have a smaller footprint. And that's
4 why we have an initiative we call Coal FIRST, FIRST
5 being an acronym for flexible, innovative, resilient,
6 small, and transformative. And let me talk a little
7 bit about each of those.

8 Being capable of flexibility operation to
9 meet the needs of the grid. Our grid is changing. It
10 is becoming more flexibility, and we're modernizing
11 the grid to be able to accommodate more and more of
12 the intermittent sources of energy that is coming
13 online. We find that to accommodate these renewables,
14 generation plants need to be able to load-follow.
15 Coal needs to develop the technologies to allow them
16 to be able to ramp up and down much faster than they
17 have historically.

18 We will continue to have baseload running to
19 provide energy in electric markets when needed, and
20 ancillary services for frequency and voltage control.
21 But we also need to be able to have the generation
22 unit of the future with coal to be flexible.

23 We need to be very innovative, to develop
24 the components that improve this efficiency, and we
25 know that we need to reduce these emissions. All

1 nations' goals are to try to reduce as much greenhouse
2 emissions as we can. We do that as a nation whether
3 we're a signatory to the Paris Accords or not.
4 Indeed, we have led the world in actual greenhouse gas
5 reductions from 2005 to 2017 by 14 percent. We have
6 actual reductions, and we want to continue driving to
7 reduce our emissions.

8 We need to rescale the size of these units.
9 Instead of scaling up -- historically, the engineering
10 challenge has always been to scale up engineering
11 breakthroughs. We need to scale them down. We need
12 to make them small. We need to make them modular. We
13 need to be able to make them less costly. And
14 finally, we need to transform how coal technologies
15 are designed and how they're manufactured.

16 Now, we began rolling out Coal FIRST
17 initiative in earnest last year, and in December we
18 issued a request for proposal seeking conceptual
19 designs for plants that address the Coal FIRST
20 requirements. We had a great response to RFP. And I
21 want to announce today that we've selected 13 projects
22 to receive initial funding of nearly \$2 million in
23 federal funding, with an option to conduct pre-FEED --
24 that's preliminary front-end engineering design --
25 studies.

1 These 13 projects represent an impressive
2 diversity of technical approaches that will the
3 groundwork for our Coal FIRST initiative. I also wish
4 to announce that later this year, in the fourth
5 quarter of this fiscal year, we intend to issue a
6 funding opportunity of over \$100 million for projects
7 to develop critical components an advanced
8 manufacturing approaches required by Coal FIRST
9 systems.

10 I've mentioned the manufacturing
11 breakthroughs. Later this year, in fact in May, we
12 are going to have the third of our X labs -- we've put
13 together X labs at the department as a way to showcase
14 to the world what our national labs are capable of.
15 And it's a way that we bring in industry, people of
16 the public, policymakers, investors, as well as our
17 scientists and experts together in a forum to talk
18 about what the Department of Energy is doing and how
19 we're putting your taxpayer dollars to work.

20 The first one we had was in Silicon Valley,
21 and it was storage technology. That included
22 batteries, but went beyond that. The second one we
23 had was in Seattle, and it focused on grid
24 modernization, how we're creating a more flexible and
25 resilient and reliable grid. The third one is going

1 to be in May. It's going to be at Oak Ridge, in
2 Knoxville, outside of Knoxville. And its focus is
3 going to be on advanced manufacturing. The small
4 modular coal units of the future will have a new
5 manufacturing process that will involve likely 3D
6 printing.

7 At Oak Ridge -- if you haven't had a chance,
8 you should all go out there and see what we're doing,
9 not only there, but also at NETL. The making the
10 component parts of the future is going to take a
11 manufacturing process that we are currently having
12 under design, and it's this process that is going to
13 be able to manufacture components, some of which are
14 using materials that do not yet exist on a design that
15 like I said will be so small it can only be
16 manufactured that way. They simply can't be
17 manufactured in the processes that we have today.

18 That's going to be the basis of our lab.
19 The coal industry will benefit on that, and we look
20 forward to your participation in that.

21 So we're very excited about the conceptual
22 design projects and the potential of our funding
23 opportunities to accelerate our Coal FIRST research
24 and development. And, of course, by any measure,
25 financing is the crucial success to our coal strategy.

1 And that includes financing from our department's loan
2 guarantee program, which has more than \$40 billion in
3 available loan authority. Of that \$40 billion, 8.5
4 billion include loan guarantees for advanced fossil
5 fuel projects using innovative technology, and up to 2
6 billion of that includes partial loan guarantees for
7 federally-recognized tribes for an all-of-the-above
8 energy projects.

9 In the meantime, we're also exploring the
10 development of super-critical CO₂ power cycles to
11 improve efficiency, significantly reduce the size of
12 future plants, as I've mentioned, and to reduce these
13 costs. And right now, we have a project underway in
14 San Antonio to design, build, and operate a 10-
15 megawatt electric super-critical CO₂ pilot test
16 facility.

17 We're also exploring advanced combustion
18 technologies and novel concepts that can significantly
19 improve efficiency and the flexibility to quickly
20 respond to grid demands for both the existing and the
21 future coal fleet.

22 Now, besides modernizing today's plants and
23 designing the better ones for tomorrow, our third
24 priority for coal is to advance the deployment of
25 carbon capture utilization and storage. Now, as you

1 know, the department has a robust CCUS R&D program,
2 and we've had some impressive successes, but there are
3 still some technical hurdles to commercializing these
4 technologies, most significantly being the costs
5 associated with carbon capture. We need to reduce by
6 about 50 percent, ultimately getting the cost down to
7 \$30 per metric ton.

8 Now, this is indeed a challenging goal, but
9 we're exploring early-stage R&D on advanced
10 technologies that have the potential to get us there.
11 And as I said, we hope that the report coming out of
12 the National Petroleum Council will also emphasize the
13 national need to prioritize the development on
14 reducing costs for carbon capture and utilization to
15 ensure the robustness of today's fleet and the fleet
16 of tomorrow.

17 Finally, our fourth priority is to support
18 DOE's larger water security grand challenge initiative
19 to meet the need for safe, secure, and affordable
20 water. When it comes to water issues related to coal-
21 fired power plants, our R&D is targeting three areas:
22 treatment and reuse of non-traditional waters,
23 improving power plant processes, and data modeling and
24 analyses.

25 Concerning water treatment and reuse, we aim

1 to develop advanced technologies to reduce the amount
2 of fresh water used for cooling. We're looking at
3 ways to recover water from power plant flue gas.
4 We're also focusing on treating the brines from CO₂
5 storage sites for potential reuse as cooling water at
6 power plants and for processes like power generation
7 or hydrocarbon production.

8 The usable water would be particularly
9 helpful in regions of the country where water is
10 scarce. Concerning the improvement of power plant
11 processes, we seek not only to reduce water intake,
12 but lower overall operating costs. Concerning the
13 data, the modeling, and analysis, we seek to model and
14 analyze the multiple components that impact the water
15 energy system. And right now, at NETL, NETL is
16 developing models and software to analyze the impacts
17 that water availability may have against projected
18 water use of power plants.

19 So in conclusion, we firmly believe that the
20 answer to the challenges facing energy in general, and
21 coal in particular, was and remains to be more
22 innovation and less regulation. It's through
23 innovation that we're developing the technologies we
24 need. But as you know, we the government cannot do it
25 alone. It's you, our partners, industry, critical to

1 any success that we will achieve.

2 So we'll continue to need your help, this
3 group's advice and counsel, your expertise. We all
4 need to buy in to secure coal's future. So we look
5 forward to continuing to work with you as we move
6 ahead, and what Secretary Perry has described as the
7 new American energy era.

8 Thank you very much for having me here this
9 morning, and I wish you the best in the meeting today.
10 Thank you.

11 (Applause.)

12 MR. WEST: Thank you, Undersecretary
13 Menezes.

14 The next order of business that we have
15 today is to elect a new chair and a vice chair for the
16 NCC. Now, only official members of the NCC are
17 eligible to vote, so if you're not presently a member,
18 I would ask you not to fill out a ballot. Officially
19 appointed members of the NCC should all have ballots.
20 Looks like this. Is there anyone that does not have a
21 ballot? We'll get one to you.

22 Someone in the back does not have a ballot.
23 Anyone else? Okay. So please be sure to include your
24 name on the ballot. We cannot verify your official
25 status to vote without having your name on the ballot.

1 Please circle the candidates you would like to vote
2 for. You will note that there is a write-in line in
3 case you wish to vote for someone that has not yet
4 been nominated. Please only vote once. Once you have
5 completed your vote, the ballots will be collected,
6 and we will tabulate the winners. We will announce
7 the winners after Seth Schwartz's presentation.

8 If we haven't finished counting them by that
9 point, then we'll go ahead and take a break, and then
10 we'll announce the winners after the break. So thank
11 you for your attention to this. It's important to
12 have continued leadership of the NCC.

13 So with that, I'd like to -- what is that?
14 Are you going to -- okay, great.

15 MR. SLONE: Whatever works.

16 MR. WINBERG: Yeah. Deck, the podium is
17 yours.

18 MR. SLONE: No doubt, Seth, you are better
19 served by Steve.

20 Again, it really is terrific to have
21 Undersecretary Menezes. Steve, thanks for all your
22 great leadership and all that you're doing for us here
23 with the National Coal Council. Really thrilled to
24 have Seth Schwartz with us today. He is a good friend
25 as well to our industry, someone -- and a good friend

1 to me personally, somebody I've known for a very long
2 time, and is held in great esteem across the industry.
3 He's the president of Energy Ventures Analysis. He
4 leads the coal practice there. The words foremost
5 authority are overused, but Seth is absolutely the
6 foremost authority on coal markets in the country, and
7 people do know him as just Seth. So, you know, that
8 single-name thing applies to Seth.

9 Seth and EVA have been tremendously
10 supportive of the Coal Council. Seth and his partner,
11 Emily Medine, who is here as well, and who does
12 terrific, terrific work for us and with us. So really
13 pleased to have EVA's great, you know, support,
14 ongoing support, with all that we do at the council.

15 Seth has been everywhere at once for the
16 past 30 years or so in our space. He has launched a
17 comprehensive suite of publications that most of us
18 read religiously and every morning. So we rely
19 heavily on that work across the industry to know what
20 is happening in the space internationally.

21 He works directly with utilities, with
22 independent power producers, and with other clients to
23 develop fuel procurement strategies, negotiate long-
24 term fuel contracts. He advises on acquisitions,
25 advises on asset sales. He has been an expert witness

1 any number of times.

2 So again, just a real force in our industry,
3 and thrilled to have him here. He's a graduate of
4 Princeton University. I don't know how your
5 basketball team did this year, but it's Princeton, so,
6 you know, I think academically you probably did okay.
7 So he has a BSE in geological engineering, so again it
8 shows you the depth as well, the sort of, you know,
9 geology and engineering sort of depth.

10 So with that, Seth, looking forward to your
11 comments.

12 (Applause.)

13 MR. SCHWARTZ: Thank you, Deck. I'm afraid
14 the days of Pete Carill are kind of long-gone at
15 Princeton. And most of these people don't even
16 remember Bill Bradley, but he's still -- he's the one
17 who built the gymnasium with his success.

18 So thank you very much for having me. I
19 really appreciate it, Assistant Secretary Winberg.
20 Given the room, I'm going to depart a little bit and
21 instead of just making a PowerPoint, just talk, and
22 then maybe I'll use a few slides.

23 Coal and national security was the topic I
24 was asked to address. And I think if you look at the
25 markets and the situation, the energy economy in the

1 United States, it really falls into two major
2 categories. One is electric power and coal's role in
3 the security of low-cost and reliable generation of
4 electricity. And the other is exports. U.S. coal is
5 increasingly becoming a major share of the world
6 export market, bringing in jobs and revenue to the
7 United States and expanding U.S. influence around the
8 world.

9 Let me go back to the electricity sector and
10 coal's role in energy security. And I think people
11 need to understand a little bit how we got here, but
12 let's start with the fact that I think everybody is
13 aware that coal's share of energy supply, of
14 electricity supply in the United States has been
15 declining fairly sharply since its peak in 2007-2008.
16 More than a billion tons per year of coal was burning
17 for power generation in 2007 and 2008. Last year, 10
18 years later, in 2018, coal burning was down to just a
19 little over 600 million tons, so it was a drop of
20 almost 40 percent over a decade.

21 What happened and why? What happened was
22 the growth of two factors, one -- or subsidies for
23 renewable power generation, so the growth of wind and
24 solar generation have penetrated the grid and changed
25 the economics in the market. And the second was the

1 advent of hydraulic fracturing or fracking of natural
2 gas, which dramatically increased the supply and
3 brought down the price of natural gas.

4 The grid security of supply is still
5 provided by fossil-fuel generation. The other
6 components are nuclear. Nuclear is about -- so coal's
7 share of power generation is now about 28 percent
8 nationwide. In some areas it's as high as close to 50
9 percent. In other areas of the country, it's below 10
10 percent.

11 But -- and natural gas has now surpassed
12 coal, but it's roughly equal to coal, and almost 30
13 percent of power generation. So those two fossil
14 components are almost 60 percent of total power
15 generation. Nuclear is about 20 percent. Hydro is
16 about 10 percent, and wind and solar are the other 8
17 or 9 percent.

18 The fossil generation, however, provides the
19 critical role in ensuring reliability of power
20 generation. And so what Mr. Menezes addressed was the
21 ability to ramp and supply -- ramp generation and meet
22 demand for electricity. So what is unique for
23 electricity in the power sector is that supply and
24 demand have to be matched on a real-time basis. And
25 the independent system operators of the grid perform

1 that function. And if they don't, if you fail to do
2 so, you have swings in voltage, damage to, you know,
3 companies and facilities connected to the grid, and
4 grid failures.

5 So as a result, the grid operators are
6 constantly calling on units to dispatch, that is,
7 generate, at levels both increase and decrease in
8 order to match demand for electricity. The non-fossil
9 sources of generation don't do that. Wind and solar
10 run whenever they are available. If there is an
11 increase in demand for electricity, there is no
12 ability for a grid operator to call on a wind turbine
13 generator and say please generate more electricity.

14 Nuclear, for all the valuable things it
15 brings to the grid, nuclear power does not bring the
16 ability to increase generation in response to
17 increased demand. Nuclear plants as, you know, the
18 term was used, base load. Maximum generation at all
19 times when operating. So, when there is a change in
20 power demand, nuclear plants are not going to be
21 called on by the grid operator to increase generation.

22 Hydro, it depends on location. Where there
23 are large reservoir storage, like the Pacific
24 Northwest, in fact, hydro generation is very valuable
25 in ramping up and down to match power generation, but

1 in most of the country it's just not true.

2 So what is left is fossil, coal and gas.
3 Oil is really no longer part of our fossil generation
4 supply in any significant amount except in small
5 peaking units because the cost in large steam turbines
6 is totally uncompetitive, both the price of fuel and
7 the efficiency compared to gas-combined cycle units.
8 So coal and natural gas provide the backbone that
9 keeps the lights on, period.

10 But there is a difference between coal and
11 natural gas. Natural gas has been a terrific
12 technology and the breakthrough of hydraulic
13 fracturing is truly the greatest economic event for
14 the United States in the last 20 years. There is no
15 question about it. I mean, if you were to think about
16 what the U.S. economy would look like today without
17 hydraulic fracturing, it's frightening.

18 Just simply I'll give you one quick number
19 on balance of trade. Again, 10 years ago the United
20 States had a trade deficit of \$800 billion per year.
21 450 billion of the 800 was energy, mostly oil imports
22 and natural gas imports. Last year, the United States
23 still had a trade deficit of \$800 billion. Only 60
24 billion was energy, and we are headed to an energy
25 trade surplus.

1 If we did not -- and it is almost entirely
2 due to fracking generating increased supply of oil and
3 natural gas. Without that, the economy would be a
4 shambles compared to what it is. I mean, just if you
5 looked at the balance of trade alone, you took \$400
6 billion added to the U.S. economy -- and it's not just
7 that. It's all of the jobs in the fields of -- the
8 shale fields in Texas and Appalachia. It'd change the
9 economy there.

10 So my defense of -- or explanation of the
11 role of coal versus natural gas is not intended to be
12 a criticism of the role of natural gas, just a
13 recognition of reality. And the reality is in winter
14 peak periods, natural gas supply is simply not
15 available to increase generation in response to peak
16 demand. And we have had -- and the reason it's not
17 available is that at the same time electricity demand
18 is peaking, so is home heating demand, home and
19 commercial, and to a certain extent industrial, but
20 especially home heating demand.

21 And pipeline capacity is inadequate to meet
22 that demand, and honestly will never really be
23 adequate because we'll never build enough pipe, and it
24 will actually never really be economically sensible to
25 build enough pipe simply to meet the extreme winter

1 peaks. And so, to do that both for home heating and
2 for power generation.

3 So we have tested this now several times
4 over the last five years. The polar vortex event of
5 January 2014, the bomb cyclone event of January
6 2018 -- when we had extreme cold weather, the entirety
7 of increased generation came from coal. I say
8 entirety; I'm exaggerating a little bit. There is a
9 little bit from oil, all right? And I'll explain why.

10 But -- so natural gas generation did not
11 grow despite a dramatic increase in demand for
12 electricity because -- not because the power plants
13 weren't available, but because the gas wasn't
14 available. And there have been multiple studies done
15 by PJM, done by MISO, done by the New England ISO
16 about the risk of increasing reliance on natural gas
17 generation for security of supply in extreme winter
18 events.

19 And it's not a summer problem. The reason
20 why it's not a summer problem is because residential
21 gas demand is very low in the summer. So, yes -- and
22 natural gas plants do a great job of following load.
23 There is no question they can be ramped up and down
24 faster than coal and more efficiently than coal. But
25 they're not available in extreme winter events.

1 So what does coal have -- and by the way, to
2 a certain extent oil -- that natural gas doesn't have?
3 It has onsite storage at the generator rather than
4 storage in remote locations. Natural gas has plenty
5 of storage, but not at power plants. It has a lot of
6 storage mostly in the producing gas fields. That
7 doesn't solve the problem. We have had clients for
8 years who said, well, you know, who are utility
9 clients, who with coal stockpiles said, well, we
10 bought coal from the mine and they're storing it for
11 us at the mine. And we're like, that doesn't do it,
12 right? It's not at the power plant. It doesn't solve
13 your security of supply problem.

14 So power generators across the country,
15 coal-fired power generators, maintain on average
16 anywhere from 20 to 40 days of coal onsite -- that's
17 days of peak burn -- so that if there is a swing in
18 demand for a power from that power plant, the coal is
19 available even if there was a temporary interruption
20 of supply. That's why coal supplies the increased
21 generation in winter events, and it's going to be that
22 way. And we have parts of the country that have
23 virtually eliminated coal.

24 The entire New England/New York area now
25 have almost no coal plants left, and they are running

1 into spikes in winter peak power prices that are
2 extreme. And, you know, they have done study after
3 study. Because of other issues, they can't build more
4 pipeline capacity in. They can't get more power line
5 capacity in from Canada. And even -- they actually
6 import LNG. People may not be aware that New England
7 keeps its -- you know, balances its gas load in the
8 winter and helps supply its power plants by actually
9 importing liquified natural gas into a facility near
10 Boston. But you can't import U.S. natural gas because
11 the Jones Act doesn't have any -- stops you from going
12 from a U.S. origin port to a U.S. destination port,
13 one of the stupider laws that we have.

14 So without -- as coal is phased out in those
15 areas, the risk of interruption is growing, and we are
16 seeing it in other merchant power markets, and even to
17 a lesser extent in some of the regulated power
18 markets. Let me touch on the merchant power markets a
19 little bit.

20 How did we get there on the merchant power
21 markets? We got there -- and again, the reference to
22 the 1990s is correct. We got there because of what
23 happened in the 1990s. We had -- and it may be hard
24 to remember, but we had a decade of natural gas prices
25 staying below \$2 per million BTU for the entire 1990s.

1 There were years were it averaged less than \$1.50 per
2 million BTU for natural gas. And with all the wonders
3 of hydraulic fracturing, we're not there now. This is
4 a much cheaper, especially -- you know, even with
5 taking into account inflation, it was much cheaper in
6 the 1990s than it even is now.

7 So with what appeared to be a long-term
8 supply of gas below \$2, combined with the development
9 of the new efficient combined-cycle gas technology,
10 gas seemed like the future. And there was extensive
11 lobbying at the state level, mostly funded by a
12 company called Enron, whom some of you remember, who
13 came into the state governments and said, if you --
14 your regulated utilities will not let us participate
15 in wholesale power generation because even the plants
16 we want to build aren't even covered by PURPA, because
17 that would only cover if we were a cogenerator and not
18 just an independent power producer.

19 If you deregulate your markets, we can build
20 new gas-combined cycle plants and bring down your cost
21 of electricity. We can actually build it cheaper than
22 running existing coal plants. And there were a number
23 of states who went ahead and deregulated and created
24 merchant power markets.

25 The merchant power market concept is fine.

1 The economists love the concept of merchant power
2 markets. I like -- free markets are the greatest gift
3 to civilization we have. And the concept is fine, but
4 the reality is not so fine. So, the reality is right
5 now in the merchant power markets, say some of the
6 critical large markets like PJM, every non-fossil fuel
7 is subsidized, heavily, all right? Wind and solar
8 subsidies are massive.

9 You know what, your -- to give you some
10 numbers, again the average power market price at PJM
11 West Hub for the last year has been running at on-peak
12 at about \$34 per megawatt hour, off-peak at about \$22.
13 The average price literally that a generator receives
14 for the full year is around 27 or \$28. The production
15 tax credit for wind-generation is \$23 per megawatt
16 hour after tax. The size of their subsidy, especially
17 on a pre-tax value, is greater than the entire
18 revenues for a merchant coal plant in PJAM. And
19 that's just the reality.

20 Nuclear, right, nuclear was facing problems.
21 Nuclear's full cost of generation on an ongoing basis
22 is in the mid 30s. And again, I'm talking about an
23 average power price in the high 20s. So almost every
24 state now in merchant power markets has passed
25 legislation to heavily subsidize their existing

1 nuclear plants in order to keep them from closing.

2 It's true in Connecticut. It's true in New
3 York. It's true in Illinois. It's true in New
4 Jersey. We have legislation that is headed toward
5 passage in Pennsylvania and proposed in Ohio. Only my
6 state of Maryland is not doing it yet, and it's not
7 far behind.

8 So, in order to reflect the value of coal to
9 security of power supply, coal doesn't need a subsidy.
10 Coal simply, number one, needs a level playing field,
11 all right, where all of its competitors are not
12 heavily subsidized, where coal is not. And secondly,
13 the pricing structure needs a change so that coal-
14 fired power plants are being paid for the reliability
15 they supply.

16 And this has been done -- New England ISO is
17 doing this now, saying plants must have pipeline
18 contracts and must have dual-fuel capability in oil
19 storage onsite. There is the -- oil does provide
20 onsite storage. Natural gas could, if you just spent
21 the money. You can have onsite LNG storage. They're
22 just not spending the money. Coal is spending the
23 money, has spent the money, is not being compensated
24 in the capacity market. And energy prices are being
25 artificially depressed by subsidized competitors. And

1 without -- as we keep retiring coal plants -- and
2 that's where we're headed -- we are going to see more
3 and more power markets face disruptions, especially in
4 cold winter temperatures. And as was mentioned about
5 Texas, ERCOT -- the crisis in ERCOT is inevitable.
6 This is coming. As surely as the California energy
7 crisis was coming, you know, back in 2000, any year we
8 had a drought and hydro fell in the Pacific Northwest,
9 that was the year California was going to run out of
10 electricity, all right?

11 ERCOT is designed to fail. Now again,
12 economists love the design of the ERCOT power market.
13 It was designed by MIT PhDs. They think this is
14 brilliant. It's an energy-only market, and therefore
15 generators will come in and participate at the market
16 price, the clearing price for energy. And it's true
17 that it works economically. But it's not going to
18 work politically when people see what happens, all
19 right?

20 What is going to happen is you need enough
21 days of thousand dollar power prices in order to
22 provide the incentive for new participants to join --
23 to build plants in the market. This market is
24 designed to have \$1,000 power prices. And when we
25 have it, and we're starting to have it more and more

1 each year as the capacity margins, reserve margins,
2 shrink, I don't think it's going to be politically
3 very acceptable to reflect truly what the real cost of
4 bringing capacity into ERCOT is going to be because
5 most of the year they're running at \$15 power prices
6 because all of the wind in west Texas got built in and
7 in subsidized.

8 So the year is coming where you're going to
9 read about the failure of the ERCOT power market, and
10 everybody is going to say, what happened. And I'm
11 going to tell you, it's designed to operate this way.

12 All right. A few minutes, and I want to
13 touch on exports. So, what is coal's role in national
14 security in exports? Number one, I think again we
15 need to recognize the coal industry is in the midst of
16 a large shift from supplying domestic markets to
17 supplying export markets. Coal demand domestically is
18 declining, in some cases for good reasons, and some
19 cases not good reasons. But it's a fact, all right?
20 We are not building, as was again just pointed out --
21 we are not building a single new coal-fired power
22 plant and haven't started construction on a new coal-
23 fired power plant in over a decade, all right?

24 So the fleet is aging. That doesn't mean
25 old coal plants can't run efficiently. They can, with

1 continued investment. But it is aging, and there are
2 replacements coming, and there are some large
3 incentives to replace the domestic coal fleet.
4 However, U.S. coal is increasingly competitive in
5 world markets. And what is maybe a little bit
6 underappreciated is 2018 was a record year for U.S.
7 coal exports.

8 In terms of volume, we exported over 120
9 million tons, larger than -- again, I know I'm dating
10 myself, but for those you who remember the world coal
11 2000 study back in 1980 that predicted we were going
12 to export 200 million tons by 2000, never happened.
13 But we're getting a lot closer to it now than we ever
14 did. And what is the reason for the change is despite
15 what you hear, coal demand is growing worldwide, not
16 in what Secretary Rumsfeld used to call Old Europe,
17 but in the rest of the world, it is.

18 Outside of western Europe, coal demand is
19 growing. It's growing in Turkey, in Egypt, in
20 Pakistan, in Vietnam, and places you don't even pay
21 attention to. They're building new coal-fired -- the
22 Dominican Republic just started up a 600-megawatt
23 coal-fired power plant.

24 Coal demand is growing. U.S. coal is a
25 competitive part of the world environment. It has --

1 well, let me talk about a couple of the values of it.
2 Number one, balance of trade and jobs, right? So 120
3 million tons of coal exports is over \$10 billion in
4 increased U.S. revenues from U.S. exports helping to
5 balance our trade deficit.

6 Number two, as part of the administration's
7 announced energy dominance strategy, coal is part of
8 our geopolitical influence. And again, I'm old enough
9 to remember when it was, right, when Taiwan and South
10 Korea bought coal from the United States specifically
11 because we had troops defending them. And it was part
12 of the security of our world geopolitical strategy.
13 It can be again.

14 What is -- everybody reads about the Russian
15 dominance of the European gas market and the
16 construction of Nord Stream 2 and the influence the
17 Russians are going to use over Europe because they
18 control their natural gas supply. Well, where do you
19 think most of Europe's coal comes from? It's Russia.
20 If you ask the Ukraine government right now what
21 they're worried about in terms of energy supply from
22 Russia, it's coal, all right? They lost their coal
23 fields in the violence and the separatist violence in
24 the Donbass in eastern Ukraine. And it's controlled
25 by Russia, and coal was their primary source for power

1 generation.

2 The Ukraine is now importing a lot of coal,
3 where it used to produce coal. But it's not just
4 Ukraine. It's all of Europe. Russia has been the
5 largest source of growth of world coal supply over the
6 last five years. And it's both in thermal coal and
7 metallurgical coal. U.S. has coal that is competitive
8 with Russian coal and can compete with Russian coal
9 and provides a political benefit.

10 Let me mention one other thing, though,
11 barriers to U.S. coal exports. I think it was
12 mentioned, and I would like to mention it again. The
13 largest barrier to increased U.S. coal exports is the
14 lack of terminal capacity on the West Coast of the
15 United States.

16 A number of terminal projects have been
17 proposed and have been blocked for various reasons.
18 There are two that are still in active development and
19 litigation, the millennium terminal in Longview,
20 Washington, and the Oakland terminal in California,
21 that would unlock the ability to increase exports from
22 Montana, Wyoming, Utah, and Colorado, where their
23 domestic coal demand is declining, and those mines
24 will close without it.

25 Current terminal capacity that we have in

1 California and what we use to go through Canada is
2 fully utilized. And without the new terminal
3 capacity, we are going to be forced into declining
4 production in the western United States. So that is a
5 critical element of achieving this shift from domestic
6 to export markets to the world and the role U.S. coal
7 can play in world markets.

8 So, with that, I think I'll wrap it up,
9 Deck. Are we doing any questions, or --

10 MS. GELLICI: We do have a couple minutes,
11 so I think we can take a couple of quick questions,
12 but, first of all, I want to thank Seth for his
13 remarks. Thank you.

14 (Applause.)

15 MS. GELLICI: And we can take a couple quick
16 questions if anyone in the audience has a question.

17 FEMALE VOICE: If you'll announce who you
18 are.

19 MR. KAPTUR: I'm Casey Kaptur --

20 (Technical interference.)

21 MR. KAPTUR: Can you be a little bit more
22 specific about the changes that have to happen in the
23 capacity markets to have those coal plants available
24 on an on-demand basis since no new ones are being
25 built and it's currently economically unvaluable to

1 have them sit around until the demand arises?

2 MR. SCHWARTZ: Yes. Okay. And let me make
3 sure it's clear. There are really conceptually two
4 markets in the United States here, regulated markets
5 and merchant markets. The regulated markets, the cost
6 of maintaining a coal plant either idle or running at
7 low utilization rates, and spreading those fixed costs
8 or for fewer megawatt hours, they're actually being
9 passed through to the rate payers. They're being paid
10 by regulated utilities. And I can discuss some of the
11 political problems that the regulated plants face.

12 But let me talk about the merchant markets,
13 which Casey asked about. So in the merchant markets,
14 what needs to be established -- PJM already
15 established what is called a capacity performance
16 payment that tried to separate between, for instance,
17 gas-fired plants that had a pipeline contract and gas-
18 fired plants that didn't have a pipeline contract.

19 Signing a firm pipeline contract costs a lot
20 of money. I'll give you one simple example I got from
21 the city of Lakeland, who is looking to building a new
22 CCGT in Florida. The cost of their 20-year gas
23 contract with Sable Trail Pipeline is greater than the
24 cost of building the power plant, their firm capacity
25 commitment.

1 So it's a big deal to require gas-fired
2 plants to have firm pipeline contracts. But even
3 then, there is still not the same reliability as coal.
4 So what we need to do is create another capacity
5 performance market that puts a value and a price on
6 onsite fuel storage. And it doesn't have to be coal-
7 specific. It can be fuel-neutral, maintain 30 days of
8 peak capacity on -- peak generation onsite, and it can
9 be coal. It can be oil. It can be LNG. Or it can be
10 a CCGT gas plant that has oil backup with 30 days
11 onsite.

12 PJM and other merchant markets can create
13 another separate capacity performance market that is
14 for plants that bid into that market that have onsite
15 fuel storage. And that would let the marketplace
16 value that reliability coal plants are bringing.

17 Thank you, Janet.

18 MR. WINBERG: Thank you, Seth.

19 (Applause.)

20 MR. WEST: Thank you very much, Seth for
21 your very thoughtful comments, and enlightened
22 comments, I might say, also. So at this time, I would
23 like to announce the results from the election. The
24 new chair of the NCC is Danny Gray.

25 (Applause.)

1 MR. WINBERG: And the new vice-chair is
2 Randy Atkins.

3 (Applause.)

4 MR. WINBERG: So I need to ask, do you both
5 accept these positions?

6 MR. GRAY: Yes.

7 MR. WINBERG: And I need a yes.

8 Okay. Thank you very much. Then
9 congratulations are in order. And on behalf of all of
10 us, thank you for your future service to the National
11 Coal Council. And at this time, I'd like to call upon
12 the new chair to provide us with an update on some
13 things that NCC is working on.

14 Is that supposed to be you?

15 MS. GELLICI: Actually, I'm just going to
16 acknowledge a few things.

17 MR. WINBERG: Okay, great.

18 MS. GELLICI: So thank you, Steve. So thank
19 you very much, appreciate that. So, Steve, we're not
20 going to sing to you, but at the count of three, we're
21 all going to say Happy Birthday, Steve. So one, two,
22 three.

23 ALL: Happy Birthday, Steve.

24 MS. GELLICI: Now you don't have to worry
25 about having everybody say that to you on the break,

1 and you can just enjoy yourself. So thank you very
2 much.

3 So as you all know, and has been
4 acknowledged here today, we're delighted to be
5 celebrating our 35th anniversary, of 35 years of
6 service to the secretary of Energy and the Department
7 of Energy. So in 1984, Secretary Don Hodell named 23
8 individuals to serve on the council. Today we're
9 honored to have 125 representatives who volunteer
10 their time and efforts in providing advice to the
11 secretary on coal-related issues.

12 I'd like to ask the following individuals to
13 stand and stay standing, and if we could please hold
14 our applause, but Sy Ali, Fred Palmer, Jerry Oliver,
15 Jackie Bird, Barbara Altizer, Dan Rolling -- and I
16 don't think that Lazura (phonetic) was able to make
17 it, but I just wanted to acknowledge these folks who
18 were first appointed to the council in the early to
19 mid 1990s, serving on and off in the council for more
20 than 25 years. So these are some of our founding
21 members, and I'd like to acknowledge them. Thank you.

22 (Applause.)

23 I also know that Joe Craft wasn't able to
24 be with us today, but Heath Lovell I believe is here.

25 Heath, thank you. If you would convey to

1 Joe our appreciation. Joe was appointed to the
2 council in 1988, so we started in 1984. Joe was
3 appointed in 1988, and he has been continually serving
4 since that time. So just truly amazing. So we'll
5 send some applause home with you, Heath, and let Joe
6 know how much we appreciate his service. Thank you.

7 (Applause.)

8 Of course, we're always welcoming new
9 members, and appreciate their willingness to kind of
10 step up. We appointed 18 new members in March of this
11 year. I'd like to ask those who have just been
12 recently appointed to please stand so we can welcome
13 and acknowledge you as new members of the council. So
14 don't be shy. Thank you very much.

15 (Applause.)

16 Wow, that's great. Wonderful. Just a few
17 other folks I'd like to acknowledge for their service
18 to the council in various roles at DOE that supported
19 not only the formation and the operations of the NCC
20 throughout the year, but have been very supportive of
21 us through the years. Again, please hold your
22 applause, but if the following individuals would stand
23 and be recognized. Richard Wolf. Is Victor here? I
24 know he was here last night. Maybe not here today.
25 Doug Swift, Bob Gentili, Chuck McConnell. Thank you,

1 gentlemen, for your role that you played in the
2 formation of the council. Greatly appreciate that.

3 (Applause.)

4 I'd like to do a personal shout-out to Bob
5 Hershey. Bob, where are you? Bob is in the back of
6 the room. Bob is responsible for my being here, so
7 you can blame him. But back in 1988 -- 1998, Bob
8 recommended and nominated me to serve on the council,
9 and I was appointed to do so at the time until the
10 year 2013, when I took over as chief executive. So --
11 but Bob has been a loyal supporter of the council, and
12 again, you can blame Bob for me being here. So thank
13 you very much, Bob. Appreciate that, so --

14 (Applause.)

15 So, finally, I wanted to acknowledge our
16 executive committee leadership. If you are serving on
17 our executive committee or have served in the past on
18 the NCC executive committee, would you please stand?
19 Great group of folks. Thank you so much for your
20 service. Thank you.

21 (Applause.)

22 Special shout-out to Mike Durham and Greg
23 Workman, who are some of our past -- two of our past
24 chairs. Thank you both very much for your service and
25 leadership roles.

1 And last but certainly not least, I'd like
2 to ask Deck Slone to please stand. Deck, on behalf of
3 the members of the National Coal Council, I wanted to
4 thank you for your leadership of the council. You are
5 a true champion of the industry, and you're very
6 extremely insightful and a fearless proponent for the
7 coal industry. I appreciate personally the advice and
8 guidance you have given to me over the last year, but
9 we appreciate your service this past year, and look
10 forward to your continuing engagement with the
11 council. Please join me in thanking Deck for the
12 service.

13 (Applause.)

14 Steve, with that, I'll turn the program back
15 over to you.

16 MR. WINBERG: First, thank you very much for
17 the happy birthday wish. If I have to spend my
18 birthday in this town, there is nowhere I would rather
19 be than right here with you folks.

20 (Applause.)

21 So also, before my tease gets too stale,
22 after the break I will be making the announcements.
23 Undersecretary Menezes has afforded me the privilege
24 of announcing our -- the first step in our Coal FIRST,
25 so upon our return, I will make those announcements.

1 We're going to take a 30-minute break so everyone can
2 stretch their legs, get something to drink, use the
3 restroom. And we should plan on being back here at
4 about -- let's say 30 minutes from now.

5 (Laughter.)

6 MR. WINBERG: I can't see my watch. I'm too
7 old. So anyway, thank you, folks.

8 (Whereupon, a brief recess was taken.)

9 MR. WINBERG: Okay, ladies and gentlemen, if
10 you could please be seated, then we'll go ahead and
11 get started here. So the announcement that I talked
12 about yesterday is the first step in Coal FIRST, and
13 we are now announcing today 13 awardees to do a
14 conceptual design, and then the Department of Energy
15 will then have the option to request that any of these
16 projects will conduct a pre-FEED study. It's a phase
17 1A and a phase 1B. And so in alphabetical order, the
18 13 projects are 8 Rivers Capital, LLC; Allegheny
19 Science and Technology; Barr Engineering, Concept 1
20 and Barr Engineering, Concept 2; Consol Pennsylvania
21 Coal Company; Constantin Technologies; Echogen Power
22 Systems; Electric Power Research Institute; Hydrogen
23 Energy California; Nexant, Inc.; Washington
24 University; and Wormser Energy Solutions, Concept 1
25 and Concept 2.

1 So I think some of the folks are in the
2 room. Maybe a round of applause for those that will
3 be carrying on. Thank you.

4 (Applause.)

5 And so with that, I will turn the podium
6 over to Janet, who will announce the rest of our
7 speakers.

8 MS. GELLICI: Thank you, Steve, and
9 congratulations again to the folks in the room on
10 those awards. And we're thrilled about that. Thank
11 you, Steve.

12 It's my pleasure to introduce Bill West from
13 Arq Limited. Bill is one of our newest members of the
14 council. We're delighted that he was appointed
15 recently. The company Arq is based in London,
16 England. Bill is stateside here. He serves as the
17 chief executive of Arq Coal Technologies, which is a
18 U.S. based Arq subsidiary that's based here in
19 Lexington, Kentucky.

20 Since 1986, Bill has continuously served as
21 senior officer or director of a leasing, mining, or
22 heavy construction company, has a broad range of
23 experience in various multistate mining, construction,
24 and equipment leasing concerns. He has been involved
25 in numerous startups and early-stage developments. He

1 is going to speak to us today and provide an overview
2 of the activities that Arq is involved in. Would you
3 please join me in welcoming Bill West. Bill?

4 (Applause.)

5 MR. WEST: First I'd like to start with
6 thank you for having us here. We really appreciate
7 this opportunity, and we are believers in the coal
8 industry and the opportunities that are available.

9 I think this is an exciting time for the
10 coal industry. I know people have been talking about
11 how -- the challenges that we face. I think the
12 opportunities we face are bigger. We just got to look
13 outside our typical paradigms that has been boxing us
14 in and look forward towards opportunities.

15 So she already introduced you to who I was.
16 I was -- there is a gentleman in this today, Joe
17 Valis. We was probably -- you can almost call us
18 employees 1A and B to Arq. We walked in the door at
19 the same time. There was four original founders of
20 Arq, and Joe and I was one of them. Julian McIntyre
21 I'll introduce to you in a minute. A guy named Greg
22 Licata, who runs Integrity Coal Sales, and some of you
23 all might be familiar with Greg.

24 So we was there for the concept, and it has
25 been a challenging ride, and we have brought on a lot

1 of exciting internal and external partners that has
2 helped us to make this happen because it's certainly
3 beyond our intellect.

4 Let's start off on this film for a second.
5 This -- oh, it's going to play. I'll let it play.

6 (Video plays.)

7 MR. WEST: So let's start with our -- if
8 you'll let me give you a little history lesson, the
9 concept of how Arq started. And we -- for some of the
10 individuals that we were associated for a long time
11 were very interested in the waste streams coming from
12 mining, not just the coal industry, for the mining.
13 We thought we spend trillions of dollars and a lot of
14 effort to dig up resources that we as a society has
15 got to have to move forward, and that much of it was
16 going into our waste streams. And so we was very
17 interested in how to look at those waste streams and
18 pull value out of those waste streams.

19 A bunch of us had some background in the
20 coal industry and had owned mines, been miners, been a
21 miner. And so, carbon was a natural place for us to
22 start. And then we really liked the idea, start at
23 carbon, because it's such a -- it's a element that is
24 so occurring throughout life that it just gave us a
25 target-rich environment to go at.

1 So first we started looking at the waste
2 streams to pull out a solid carbon product. And we're
3 not smart enough at that stuff, so we went recruiting
4 people, selling people on what we thought was a good
5 idea, and we wind up with the chief scientist of Shell
6 Oil, recruited him. Later on, we got the chief
7 scientist of BP, recruited him. And these people like
8 that took us into the fuels market as the process
9 developed.

10 What we do is difficult. It's hard. We
11 think we're there, but it's worth it. There is a lot
12 of incentives for doing it. There is large economic
13 incentives. There is large environmental incentives.
14 It makes better use of our natural resources. I
15 believe it will lead to increased coal exports. And
16 it improves the quality of life here in the U.S., in
17 the world. And those are all goals that our speaker
18 last night laid out that they was wanting to achieve,
19 they thought the coal industry should achieve.

20 So when I heard her speaking to that last
21 night, it was like, you know, wow, that's right down
22 where we're trying to head.

23 I'd just like to introduce you to our team
24 here. Julian, the guy in the upper left corner, he
25 was one of the guys that was sitting on my back porch

1 when we came up with this idea. Richard Campbell-
2 Breeden is the former vice chairman of Goldman. Mike
3 Treanor, Shell Coal. Paul Groves is a project
4 management guy, ran one of the biggest projects for
5 Shell Oil and worked for Petrofac. Myself, sort of
6 the miner type, and C.K. Lane, with a long history of
7 the coal industry. John is a scientist. It's a
8 varied group. You know, it's not like a bunch of
9 people from one place got together because we realized
10 very quickly we had to have oil expertise and coal
11 expertise, construction expertise. So we started
12 putting together a team that we thought could achieve
13 these goals.

14 And then we went out and got some support,
15 most just through our investor group, many of these
16 people. Jeremy Blank, the upper right-hand corner,
17 York Capital, he was our first believer, first
18 investor, and has stuck with us through thick and
19 thin, has been just a wonderful asset. Mike Muller,
20 arguably one of the guys that has traded the most oil
21 products in the world. He was chief trader for Shell
22 Oil for years. Sir Mick Davis, some coal people
23 probably recognize him. He was a former chief
24 executive of Xstrata.

25 We've got a pretty varied group and a lot of

1 experience that we're drawing through that helps us
2 achieve what we want to achieve. So we think that of
3 this opportunity as a vast market. We've spent a lot
4 of time patenting and protecting the rights, both
5 through processes and through utilization patents.
6 It's literally low cost. It's very low on the cost
7 scale. We think our costs or production of a barrel
8 of crude is about \$11 as an additive. That's a
9 pretty -- those of you familiar with the coal
10 business, that's pretty low on the scale, probably
11 pushing the bottom 15 percent of oil production.

12 It's tradeable. We wanted a product -- we
13 wanted to take our purified carbon and take it to a
14 product stream that there is a ready market for, and
15 that -- and in a way that you could use existing
16 equipment, existing use sources to utilize our
17 product. We didn't want to go to somebody and say,
18 here is your nice new product to use. And by the way,
19 you got to spend half a billion dollars to get ready
20 to use. Our product uses existing infrastructure,
21 existing processes to get going to the market.

22 We hope to have it almost immediately ready
23 for market. Our first plant in Corbin, Kentucky,
24 which we'll talk about later, should go online June,
25 July of this year, producing wet cake, which will then

1 be transported to the oil fields and probably work its
2 way into actual crude or fuel oil sometime in the last
3 or first quarter -- last quarter of this year, first
4 quarter of next year, so our time frame is.

5 It's scalable. As you know, there is a big
6 demand for oil fields. There is a big supply of raw
7 material to work with, both reprocessed and raw coal.
8 And it's -- we got some credible partners. I referred
9 to one a while ago, York. We've got some great
10 partners. We got Peabody, Mitsubishi, Vitol. So
11 we've got some people that really believe in us and
12 can help us get to market. And it's profitable. The
13 sales price way outweighs the operational cost.

14 So this is sort of what the concept looks
15 like. If you'll notice -- it don't work that far.
16 But if you notice, we can uses coal refuses, underflow
17 to figure plants. Of course, we like those too
18 because the mining cost approaches zero, and it gives
19 us a higher profit margin, though we can also take raw
20 coal as a feed. And then from that, we can come out
21 and go into the fuels market or we can go into the
22 coals market with that product in a pelletized form.

23 About all of our product in the near-term
24 future you'll see that we produce -- that we're
25 expecting to produce in the next few plants that go

1 into the fuels market. And the reason for that is
2 just pure economics. Old fuels are -- we put a higher
3 value on hydrocarbons coming out of oil and gas then
4 we do coal, which is the whole concept that we're
5 working with. So hydrocarbons to hydrocarbon. How do
6 we make the hydrocarbons in coal as valuable as the
7 hydrocarbons that you see coming off of fuels and oils
8 and gas?

9 So this is the arbitrage, what I was just
10 talking about. I lost track of my own slides here,
11 but this is basically what I was referring to. The
12 top line is sort of the market floating price of oil
13 in America, and the bottom is coal. The delta there
14 you see is the arbitrage difference between what the
15 market is placing on the unit of coal and the unit of
16 oil. And that arbitrage is what fuels our business
17 model.

18 So we think we can do this in a very cost-
19 effective way. The process is we can't -- what drives
20 the cost so low is this is not a high-pressure, high-
21 heat process, generally, except for proprietary parts,
22 which we won't talk about today. But generally the
23 process is mechanical. And it's not mechanical things
24 that you might be used to seeing in your coal
25 operations. Some of it is. Some of it comes from the

1 refinery industry. Some of it is from the food
2 industry. Much of it is from the pharmaceutical
3 industry. We had to go looking for the equipment to
4 achieve our goals of dealing with these very fine
5 products, and where we went for that is to go to the
6 industries that are dealing already with very fine
7 products.

8 (Video plays.)

9 MR. WEST: I see that, and three thoughts
10 come immediately to mind. You all have to deal with
11 my southern Appalachian accent and a London accent, so
12 it's accent city here today. And that film greatly
13 oversimplifies the stuff that we went through to get
14 here, but it is made for a simplified audience.

15 So we're trying to keep these plants as we
16 go through our initial pilot designs in a modular
17 format. We imagine these things being put in sort of
18 in lumps like lumps of sugar, with very centralized
19 design so we can scale easily. So that's what that
20 slide is about.

21 I thought you might want to see what a
22 blended product looks like. That is the blended
23 product, not the raw micro-fine product. Again, I
24 think the thing to notice here is it requires no end-
25 user modifications from the -- no modifications from

1 the end users. It drops right into the existing
2 hydrocarbon supply chain.

3 Some of you have an interest in this, but
4 just to give you an idea, so what the very rough
5 economics we think looks like. We modeled our \$60 a
6 barrel Brent. We think that carries out pretty safely
7 through the future. We have -- you know, that is
8 being driven by basically Vitol, which is our
9 marketing partner. Those numbers are current from
10 them, and they feel comfortable with that number, and
11 we do as well.

12 And we got an initial pricing around the 240
13 range, which is about a 30 percent discount to the
14 market. Calorific value, we lose about 15 percent
15 compared to oil, so that's 15 percent of that 30
16 percent delta. The 15 is what we thought we're
17 discounting into the market to get acceptability of
18 the product into the market. We think that that delta
19 will really shrink over time. Actually, we think it
20 will shrink pretty quickly.

21 And we're not here today talking much about
22 these -- about the co-products, but, you know, I'll
23 leave you this slide. It will be in the deck. But it
24 will show you sort of what the process does if you
25 apply it to a solid product.

1 The ash can be misleading. We put some
2 numbers down there we think we economically get to
3 very quickly and very cheaply, and it would put us
4 above most of the -- slightly better product than most
5 of the coal market. And we can take the ash much
6 lower. We can take the moisture much lower. But, you
7 know, it's sort of like, you know, the two guys
8 running from the bear, you don't have to outrun the
9 bear, just outrun the other guy.

10 So we're just trying to hit a market quality
11 that's economical and that puts us in a good place to
12 market. We really do not think we will have much
13 material going to the coal market in the near future
14 because of the arbitrage we've been thinking about --
15 talking about between coal and oil. But it's very
16 doable.

17 This is stuff that, you know, this is
18 probably the wrong audience for this slide because
19 this is telling you what you already know. You know,
20 most of this crowd is no stranger to the cost of coal
21 tailings. And what we do really reduces the amount of
22 those that a coal mine would have to deal with, and so
23 I won't spend a lot of time telling you what the cost
24 of that is. Most of you are related to the coal
25 industry. You know the cost is significant. You know

1 there are significant reductions in the tailing stream
2 will give you significant savings.

3 I want to talk about partnerships a little
4 bit. And here is two. It's Peabody and Vitol.
5 Partnerships are very important to us because we're
6 really ambitious and we want to scale very rapidly.
7 And to do that, we need the skills, the resources that
8 these partnerships can bring to us. So like Vitol, as
9 all of you know, is probably one of the largest --
10 world's largest oil traders, almost unlimited oil
11 trading resources. We thought it was very important
12 to get somebody like that onboard very early to help
13 us. And so we pitched the Vitol. They got excited
14 about it, and they signed on.

15 Another one of our early adapters, our first
16 large coal company adapter, was Peabody. And we're
17 very pleased about that. They have been significant
18 in helping us develop our ideal, have come up with a
19 lot of wonderful ideals, and have been very
20 supportive. Both of these companies are major
21 investors.

22 We have some others. Mitsubishi is an
23 investor partner of ours. York Capital is the first.
24 Exigent, Essentia. So we -- and all of them have
25 brought a skill set that has helped us get to where

1 we're at much faster than if we tried to do it alone.
2 So we're very pleased about the approach. We intend
3 to continue that, and we expect to have other
4 partnerships with large coal suppliers, large oil
5 field users, shipping companies, which will be a major
6 user of our product. So, you know, it's -- you give
7 up some in these partnerships because they are
8 partnerships, but we feel like we gain much more than
9 we lose, and we've been very pleased with our
10 partnerships, especially these two.

11 So this is our plant in Corbin. Just
12 thought you might want to see it. It's big, very big.
13 We expect to do about 100,000 tons, that's in metric
14 tons. Being from London, we do everything in metric,
15 which drives me crazy. But this little film playing
16 in the top right corner shows the inside of the plant.
17 And anybody that has further interest, we invite you
18 to come visit us, fly in to Lexington, and we'll be
19 glad to arrange a tour.

20 We love -- we actually sort of love guests
21 because we're excited about what we're doing. And
22 we'll talk about that some more in a little bit. And
23 it's -- not only is it big, big. It's very complex
24 inside, and it's very crowded. We think we'll
25 simplify this in the near future pretty quick. And

1 that's about it. Thank you for your time. Appreciate
2 it.

3 (Video plays.)

4 (Applause.)

5 MS. GELLICI: I'm sorry. We have just a few
6 minutes if anybody has any burning questions. I know,
7 Bill, you'll be around for lunch. But if there is any
8 immediate questions that anyone has, please raise your
9 hand. Steve has one. If you could speak into the
10 mike.

11 MR. WEST: I was craning my neck a little
12 bit, but it looked like your pelletizing the fuel.

13 MR. WEST: Not, not -- we're not pelletizing
14 as it goes into the -- into fuels. If we did a solid
15 product, you know, it would drop back into the coal or
16 metallurgical markets, the thermal metallurgical
17 markets. We probably pelletize that. Our is to stay
18 very fine powder, and that goes directly into the
19 fuels.

20 MS. GELLICI: Thank you. Please join me in
21 thanking Bill for his presentation.

22 (Applause.)

23 MS. GELLICI: And again, Bill will be
24 around, so if you have additional questions.

25 It's my pleasure now to introduce our next

1 speaker. Nicola Ferralis is currently a research
2 scientist in the Department of Materials, Science, and
3 Engineering at the Massachusetts Institute of
4 Technology. Nicola is a native of Italy. He holds a
5 bachelor's and a master's degree in physics from the
6 University of Padua, and a PhD in experimental
7 condensed matter physics, wow, from Penn State
8 University.

9 While he was a post-doctoral fellow, he
10 developed a novel technique to identify function
11 property relations in carbon -- in complex carbon-
12 based nano-materials. He is currently leading a
13 number of research products on materials design, water
14 filtration, intelligent automated algorithms, and a
15 bunch of other things that I can barely pronounce.

16 But please join me in welcoming Nicola.
17 Thank you.

18 MR. FERRALIS: Well, thanks so much. Well,
19 first of all, it has been a great pleasure to be here.
20 I'm very humbled to be among not peers at this point,
21 but a bunch of teachers, as you are, and I'm very
22 humbled to actually present some of the work that we
23 are doing here.

24 I'm just going to say right away I am not by
25 any stretch of the imagination a coal expert. So I'm

1 not trying to say that I'm going to say stupid things,
2 but, you know, you might see that our approach may
3 actually be or appear to be to you somewhat naive.

4 So I'm going to switch gears a little bit
5 from the discussion that has been going on, which has
6 been fantastic if you want to learn about the industry
7 and the value of coal, into something that we've been
8 spending quite a bit of time in the past few years,
9 and that is using coal not as a fuel, not to make any
10 fuel, not to make any related fuel product, but to
11 literally consider it as a material, something that
12 you can build things on. And literally I'll give you
13 some examples on how we sort of interpret that kind of
14 approach.

15 So you're very familiar with this picture,
16 right? And it's something that when I saw it a few
17 years ago, it sort of struck me as to say this is
18 exactly what we would like to do. So going from coal
19 as a pit stop to a product is definitely not a new
20 idea. It has been around for a long time. But what
21 is also kind of interesting to us is that if you
22 highlight some of those applications -- this is, by
23 the way, from the 1930s -- so it's definitely new --
24 you can see that a lot of those products actually
25 reflect the technology needs and the societal needs of

1 their specific times.

2 So you might argue that that's kind of
3 connects the technology of the '30s. The question is,
4 can we do more. And in fact, that question was
5 actually asked later in the last century and to say
6 it's not just about using coal for doing something
7 that otherwise would be done with some other material.
8 But it's also using coal as a technology enabler,
9 something that you couldn't otherwise do with anything
10 else.

11 So while walking at the JFK Presidential
12 Library, I came across this little panel that you can
13 see where it's not just listing coal as a fuel. In
14 fact, we barely see that as a fuel. But it's about
15 being considered as in the -- basically in the '50s --
16 as something that you could use to make things that
17 are unprecedented, from nylon stockings to aspirin.

18 So that's exactly the kind of thing that
19 drove at the time some of the interest, and it's
20 actually the inspiration that we took. Now, what is
21 missing is that quite a bit of time passed between
22 then and now, and a lot of knowledge actually that we
23 acquired in the -- within basically 60 or 70 years is
24 something that we never really connected to the world
25 of coal.

1 So essentially, what we wanted to do is to
2 use a lot of the technologies that have been
3 developed, the processes and the understanding,
4 chemical or not, and translate it into coal as a
5 material to develop new products. And today, I'll be
6 talking about three things that we are actually
7 currently working, coal-based electronics, filtration
8 and separation technologies, and I'll touch base at
9 the end very quickly on the work in carbon fibers that
10 we're actually doing.

11 By the way, if you're interested after that,
12 I have some samples, so you can see them and touch
13 them, so to just say that this actually exists.

14 So let's start with electronics. So here I
15 just list something that when we look at coal, we
16 think it's actually extremely relevant. As a material
17 scientist and materials engineer, what is the
18 threshold when we develop new products, new materials
19 for new products? It's not just about how the
20 material is, complex or not, but it's also how we
21 manufacture it. And so the example goes,
22 counterintuitively, if you wish, if you go from a very
23 simple material, you don't need to know what it is,
24 although I'll tell you later, but you don't need to --
25 and then you go into more complex materials -- those

1 are atoms stuck together -- you might think that
2 making them actually it's more complicated if you go
3 this way.

4 It turns out that's the -- the opposite is
5 actually true. So that material there at the
6 beginning is actually silicon. Silicon comes from
7 sand, right? That's all we know. But to process it
8 to the point where it's actually usable in electronics
9 is actually quite expensive. On the other side, you
10 have these novel materials that are inorganic quantum
11 dots, they're called. I'll tell you that you can make
12 it at home. I wouldn't recommend it, but you could.
13 In fact, the recipe to make it is shorter probably
14 than your pizza recipe that you use every day, or
15 every week.

16 And you might say, well, what do we use it
17 for. Well, this is constrained, and you use it pretty
18 much every time you check your phone or computers.
19 Those are actually what we use to make LED screens.
20 Your Samsung -- the latest Samsung models actually use
21 quantum dots as the light-emitting diodes. So it's
22 something that exists, but the most important things I
23 wanted to sort of convey as a message is that the more
24 complex the material, the more possibility there is to
25 reduce the complexity of the manufacturing process.

1 And that's exactly what we want.

2 Coal is, one way or another, a very complex
3 material, but also it's a very cheap one, as we know.
4 So by leveraging that and going into a manufacturing
5 process to make things, it's actually just as cheap.
6 It's very much of an opening for coal itself.

7 For example, so silicon electronics, which
8 is largely defined not just about chips that goes into
9 your phone, but it can go all the way up to
10 photovoltaics, which, by the way, right now, uses a
11 lot more. It's about 60 percent of the silicon market
12 actually goes to photovoltaics, no longer in
13 electronics, just to give you a sense. Still requires
14 a lot of processing conditions, and that kind of cost
15 is actually listed right here. It's about \$50 for a
16 kilogram of silicon that has to be PD grade.

17 And developability is obviously not
18 necessarily a huge problem because we do have a lot of
19 sand. Now, if you counter that, and you look at coal,
20 and obviously the cost of coal -- sorry. The cost of
21 coal is actually sort of listed here as the feed stock
22 material if you can use -- and that's kind of the work
23 that we'll be showing in a second. If you can convey
24 that kind of -- retain that kind of cheapness into the
25 processing itself and leverage across the significant

1 amount of production that you have, then you might
2 have a viable way to scale beyond what silicon can
3 actually do.

4 So at that point, I like to quote a
5 colleague of mine with something that we believe is
6 essential when we think about coal. And if you want
7 to make something cheap, dirt cheap in fact, you can
8 only make it out of dirt. And if that dirt is
9 organic, we are from Cambridge, so we kind of sense
10 those kinds of things. If it's organic and locally
11 sourced, that's even better.

12 So if you interpret that quote, which is not
13 necessarily a joke -- it's actually quite real -- in
14 terms of if you can develop manufacturing conditions
15 where your mine is also your manufacturing process,
16 your manufacturing facility, and everything that gets
17 out of the mine is actually a product, you have the
18 potential to scale these technologies quite
19 significantly. And that goes beyond electronic
20 companies. It goes beyond any, any process that we
21 can sort of see.

22 So this is kind of the grand vision of it.
23 How do we go about it? Well, as I said, we are
24 material scientists. We are not petroleum engineers,
25 coal people, which literally naively says let's try

1 and get some coal, and I'm not going to tell you how
2 we got it -- and there is a place online called Amazon
3 that you can buy coal from, and you might laugh about
4 it. Why buy it on Amazon? But we didn't know
5 anywhere else.

6 So we just got some coal from Amazon, and --
7 I knew that was going to create some -- and then we
8 got better sources. I'll tell you that. But at the
9 beginning, we just went with that. And we started
10 saying can we make something that resembled something
11 that we could use as an electronic material. And so
12 the first challenge that we had is to make films, to
13 make something that goes and becomes a film that we
14 can then translate into devices.

15 And so, we literally took that coal from
16 Amazon, then we grind it down a little bit, then a
17 little more, and then until we get satisfied in the
18 results, and then place it into a substrate, some sort
19 of support, and then try to see what we got. And we
20 tried then to see different coals, what they did,
21 naively, if you wish, from anthracite to bitumen, and
22 then see what we got.

23 Now we were not -- I'll tell you something
24 pretty much honestly right away. We were not
25 impressed. This is not what -- if you show this to an

1 intel engineer, you'll basically -- you'll destroy a
2 friendship you might have built in the last 10 years.
3 They will look at you and say, what are you doing.
4 This is plain stupid. It's coarse. It's bad. It's
5 not good.

6 Because we're MIT, folks, we persist. We
7 were not trying to give up by any stretch. So we say,
8 well, let's suppose this is good enough. Let's just
9 make some electronic devices, something that not
10 necessarily we're going to power any iPhone any time
11 soon, but let's see if there is something that we can
12 do.

13 So we proceed and develop making these sort
14 of devices in large scale -- and by that large scale,
15 it's wafer scales, actually the one that you see in
16 the picture right there, using conventional
17 fabrication techniques. Again, the film doesn't look
18 right. That said, though, this is a very dense slide,
19 and I'll try to go over it very quickly, but, you
20 know, very thoroughly.

21 We were surprised that beside being very bad
22 to look at, the performance actually, it's not decent,
23 but it's actually really good. So you can see here a
24 bunch of terminology that you don't need to
25 necessarily know much about. I'll just point out that

1 the G here always refers to something that you might
2 have heard about, is graphene, the wonder material of
3 tomorrow.

4 So you can see here that -- and CB is carbon
5 black, and you got amorphous carbon. All different
6 kinds of -- different types of carbon that you
7 actually have. And each one of them has its own set
8 of not a future, but current application set in place,
9 products that you can buy right now. The problem is
10 each one of them actually is constrained in the
11 electrical properties, which is what, you know, in
12 electronics you care about, and within specific
13 regions.

14 So here is sort of a range of electrical
15 tools you might actually have. And so, graphene is
16 great if you really want a lot of electricity to go
17 through, amorphous carbon if you want a little to go
18 through, and somewhere in between for making
19 semiconductor.

20 Now, the good news is that by changing
21 basically how we treat these materials, we can go
22 pretty much anywhere that their materials can do. We
23 can go from being an amorphous carbon material, almost
24 diamond-like, all the way up to graphene. And that is
25 something that we can do despite that kind of cheesy,

1 bad look in terms of the film itself.

2 So we got excited, and say, okay, well,
3 there is a long way to go, but can we make something
4 useful. And the first thing you do when you want to
5 make something electronic is a resistor. As simple as
6 that. So a resistor is something that you run some
7 current through. It brights up because it heats up.
8 And that tells you a little bit about, first of all,
9 if it's a good electronic film. If it blows up,
10 obviously it's not good. If it combusts, then it's
11 not good, at least from our standpoint.

12 You want something that resists, if you can
13 heat up and down. As a matter of fact, you can see
14 here the little chip, which I have somewhere here.
15 Again, you're very welcome to see it later. It can
16 actually get up to 300 Celsius, which is a lot for
17 these kinds of material. Those are nano-scale films
18 that below 1 micron in thickness, and they can
19 actually sustain that kind of temperature for extended
20 weeks, actually be around there for weeks in air,
21 unexposed.

22 So just to give you a sense, you might say
23 so what is the big deal here. The state of the art
24 for these kinds of things -- they are used for
25 biomedical devices and other systems -- actually

1 achieve at most about 200, then oxidation takes place,
2 and these materials are destroyed. So this is not
3 just competitive, but it's basically state of the art
4 as far as heaters are concerned.

5 But we were still bothered, very much so
6 indeed, by the fact that this was looking like a
7 cheese that, you know -- our intel friends actually
8 sort of -- you know, we want to go back and become
9 friends again. So we started to actually look at not
10 necessarily coal as a particle, as a material itself,
11 but derived products from it. And so these are
12 actually from tar.

13 Initially, it was petroleum tar. Now we're
14 actually using coal tar. And then we can see that the
15 films that actually -- you see it right here. They're
16 a lot more uniform. They are very nice. They're
17 electronic grade. And most importantly, they are
18 transparent. You can see here that you can see
19 through.

20 Now, why is that a big deal? Well, first of
21 all, you retain all the properties there I just told
22 you about. But most importantly, now you can start
23 thinking about things where really you can upscale the
24 technology. You can imagine if you have something
25 that is not transparent, you're not going to use it

1 for much, maybe a little device here and there. But
2 if it's transparent, you can go after a lot of much
3 bigger, potentially much bigger technologies. One of
4 it is de-icing.

5 So we had a project with BMW where they're
6 looking actually seriously about these technologies
7 embedded in the windshield. And you might wonder how
8 they do it today. Well, they just don't. Regulation
9 is such that you cannot have those little lines that
10 you have actually in the back shield itself. You need
11 something transparent. You need something rapid that
12 actually would work mostly for electric vehicles. So
13 that is something that is going on.

14 But you can upscale that even further.
15 There is a project looking at graphene for de-icing
16 planes, right. so where your plane is basically coated
17 out. So rather than de-icing in a chemical way it's
18 done now, you can just blast it with energy. And you
19 can go beyond that, obviously. You can go in to do
20 smart windows, where you can actually heat up the
21 windows to preserve this little thermal barrier that
22 you actually have.

23 So those are the things that again we are
24 literally -- this is the technology that is probably
25 10, 15, 20 years ahead of us. But this is basically

1 kind of how we think a lot of these things actually
2 sort of may translate in the future. And they're not
3 necessarily something that relates to your phone, very
4 little things, but can actually be big. And the
5 reason they can be big is this technology can be
6 scaled.

7 You can go beyond that. And I'll share an
8 example on what we're doing. It's not just about
9 heating. Heating is the first thing you do, but then
10 you want to become a little smarter, or at least have
11 your device to become a little smarter, and that is to
12 actually make something like a sensor, something that
13 is active, that tells you, that gives you information.

14 So we are actually making all of the above,
15 essentially soft robotics, biosensors, things that you
16 can apply to your skin to actually measure things
17 like, you know, glucose levels and all the above.
18 Those are actually not that complicated to do. But
19 the most thing that we are excited about is the
20 ability to actually make pressure sensors, strength
21 sensors, and those exist, but they're actually very
22 expensive, and they cannot scale. And they're mainly
23 related to infrastructure. So I'll show you an
24 example in a second of how that can translate and how
25 that would work.

1 Finally, obviously, once you enter these
2 kinds of things, you cannot leave out energy. And by
3 energy, I don't mean in its generation necessarily,
4 but energy storage. Regardless or -- if you believe
5 in batteries or not, batteries are part of our world.
6 It could be into electric vehicles, but phones, and
7 all the rest of it. And so, a lot of research is
8 going on using carbon as the main materials, not just,
9 for example, the electric battery, but also make
10 filter capacitors, high-power applications, where you
11 need a lot of fast response electrics. And all of
12 this can be achieved with these kind of devices that
13 we're actually making.

14 So as I mentioned before, this is kind of a
15 technical picture here some of us is up in the lab.
16 It's a string sensor. So a string sensor is a fatigue
17 sensor. Essentially, you apply to something, then you
18 stretch it. If you have a little meter, it will tell
19 you how much -- you can translate that number that you
20 see into how much you actually strain it. It's again
21 not a novel idea. It's very commonly used.

22 What is uncommon is the fact that all that
23 you see in black into the device, which is up here, is
24 coal. And that can be upscaled, and I'll show you
25 also that in a second. You can upscale it to as big

1 as you want it to be, the idea being that you can
2 start thinking about not those as being sensors that
3 you strategically place in little bits of, for
4 example, a bridge, but you can coat the whole bridge
5 with it. You can make it all out. And so, you can
6 have now an infrastructure sensor that can literally
7 in principle allows you to literally state and control
8 the health of your infrastructure or building. Your
9 sensor itself is the building, with huge benefits.

10 And again, upscaling these kinds of
11 processes and the process we design to that level,
12 it's actually extremely cheap.

13 So upscaling. Upscaling means a lot of
14 things to a lot of different people, obviously, and it
15 depends -- it needs to be contextualized. The way we
16 think about upscaling is the same as the idea of using
17 the printing press. Before the printing press, if you
18 wanted to have a book, you had -- manually you had to
19 literally copy it for you.

20 That's basically a lot of the science and
21 technology materials in this kind of world. If you
22 want a new device, someone have to make it for you,
23 customized. When the printing press came out, that
24 went all away. We say, well, we have one masterpiece,
25 and then everything else will be continuously made.

1 That's exactly what we wanted to do. And that is
2 basically -- these actually things involve essentially
3 printing press, really a wall of transparent
4 conductors, or transparent substrates, or not
5 transparent, and an ink made out of coal that you can
6 use not for writing letters, obviously, but for
7 writing your devices, and you can customize on demand.

8 And so at that point, it's not how much you
9 can make, but how fast you can make it that becomes
10 the actual question. So right up here, you can see
11 there is two little discs. Those are something else
12 that we actually make in military devices that use
13 similar processes, but we actually make it to actually
14 develop membranes, filtration membranes, which is the
15 next topic of work that we're actually doing.

16 So filtration, it's a big topic in that --
17 for obvious reasons. But it all scales out to -- it
18 goes down to one specific aspect, and that is you want
19 to be able to filtrate all the way down to the
20 smallest thing you can, obviously, but under the
21 weirdest condition as possible. Sometimes it's high
22 temperature, sometimes it's harsh environment. And
23 the fact of the matter is there isn't any material
24 that we know of today that can do both. You can go
25 very low in size, but you lose a lot of that

1 reliability and reliance to harsh environment, or the
2 opposite.

3 Now, so that material -- so we spent a lot
4 of time thinking about this quite extensively, and
5 before we actually started looking at coal, we came
6 out with a sort of process in which we took carbon as
7 a material in the form of graphene, and that was in
8 2012. By 2018, the product was actually spun out as a
9 company, Bioseparations, which uses these membranes
10 for the food industry.

11 Now, why the food industry? Well, first of
12 all because they have a huge problem in current
13 membrane technologies for separations. Every two
14 hours, if you -- mostly in dairy products -- you need
15 to kind of clean the membranes themselves. You can't
16 use chlorine because they're polymer-based, and
17 polymer gets dissolved in chlorine. So every two
18 hours, you got to shut down your plant, change the
19 membranes, and restart all over again.

20 So these membranes are chlorine-resistant,
21 meaning that you can literally bleach them out, and
22 then you don't have to change anything. So that's a
23 huge market with lots of access. And it's only
24 possible because this is a different form of carbon
25 than actually polymer have.

1 Now, keep in mind, this is not graphene just
2 yet -- this is not coal just yet, it's just graphene.
3 But the goal is -- and you can see an example here of
4 a filtrate below two nanometers in size, that dye that
5 you see, that blue color. It's a dye, which is about
6 two nanometers after filtration. It's actually no
7 longer there.

8 So can we do it with coal? Well, the answer
9 is yes, possibly, meaning that we just started
10 actually transitioning from actual graphene to those.
11 The beauty of it is that we are not just trying to do
12 a replacement as much as kind of an important process.
13 That is, we don't want to just replace graphene with
14 that. We want to use all of it that we can from coal
15 itself. So the actual particles or the actual parts
16 of materials that can be derived in the graphitic part
17 of coal are used with tar that acts like a binder to
18 allow for the membranes to be resilient, and using fly
19 ash as part of a substrate, the supporting substrate
20 of the membrane.

21 So essentially, the message here is coal is
22 deconstructed, taken apart, and then repute together,
23 but in a kind of an engineered way. So we are
24 somewhat reengineering what nature did best, I
25 suppose. And we're not trying to say that MIT people

1 are better than nature. Far from it. We heard it
2 before that, you know, MIT people are great at
3 creating policies that nobody follows or that actually
4 fail. And so that is very true.

5 But what I'm saying is there's a tremendous
6 pace for these kinds of action. And again, I have
7 some samples that here are actually good. We're not
8 there at the target of two nanometers, as we want, but
9 it's actually already performing quite well in terms
10 of stability.

11 Finally, I want to touch base on a final
12 project that we have. It's more traditional in the
13 sense that it's not again a novel idea, but to look at
14 pitch-based fibers, carbon fibers production. So this
15 is actually sponsored by DOE and through an FLA that
16 came out a couple of years ago. The goal here is to
17 achieve less than \$5 a pound of final product for the
18 carbon fiber.

19 Now, as I keep saying, this is not a project
20 that we conduct alone, and for good reasons. It's
21 because it's a vertically-integrated construction that
22 goes all the way from the mine to the actual
23 manufacturer, and not just these fibers, but because
24 the target here is automotive, the manufacturer
25 themselves, we have the ability to actually track all

1 of the possible steps that, honestly, at MIT or any
2 other academic institution we can't really touch into.
3 We don't know where the mine actually operates in
4 which kind of conditions, what kind of upscaling
5 possibilities that they have.

6 So this is a conjunction of a lot of
7 different expertise that are all interconnected with
8 each other. So what are we doing in that kind of
9 sector? One thing that we wanted to do -- and again,
10 considering this is not a novel idea by any stretch.
11 This has been around as an idea for a long time -- is
12 to try to make sense out of the parameters that we
13 wanted to use to allow going from one end, which is
14 coal, or pitch, or derived feedstocks, into the fiber
15 itself.

16 So creating this sort of advanced models of
17 the coals allows us to actually go back and tell the
18 other members of the consortium what to do to optimize
19 that.

20 In addition, we are collecting a lot of data
21 out these consortium members, and using -- and those
22 are actually data that goes -- they're not lab data
23 only. They are production data as well in terms of
24 scalability -- and then creating predictive models
25 that allows you to say how the fiber will perform

1 under those conditions, what kind of costs they may
2 actually have, and what kind of processing conditions
3 you may actually use.

4 So to conclude, I just want to say that for
5 us, we believe coal is a sustainable material,
6 something that you might not really hurt much, the two
7 words together, coal and sustainability. Because we
8 don't believe -- there is nothing wrong as far as coal
9 as a material that you can use sustainability to
10 create new things, just like there is nothing wrong in
11 polymers that you use for creating, for example,
12 plastic.

13 Any plastic that you use today, pretty much
14 almost all of it anyway, comes from petroleum. And we
15 don't question that. Never will I come to you and
16 say, you should stop using plastic because it's made
17 out of petroleum, right? So the same goes for here.
18 You should not stop using coal because -- or whatever
19 you're making with it, your electronic device --
20 because it's made out of coal.

21 The fact that it's also scalable and
22 compatible with additive manufacturing, we believe,
23 will allow actually to have a new sector sort of
24 developing into the future.

25 So with that, I'd like to thank some of the

1 early sponsors. Obviously, Exxon did not pay for the
2 coal part, as you can imagine. But they paid for some
3 of the sponsor -- and in fact, I just want to say, if
4 I have a minute, I would just say Bose actually --
5 it's probably the most important of these things.
6 Bose, it's the speaker phone company of -- and they
7 were looking for project to sponsor that had nothing
8 to do with their business, but that nobody else would
9 sponsor.

10 And so the project was about can we make
11 electronics -- in fact, not even electronics. Can we
12 make solar panels out of coal? And literally that was
13 our project, with literally two lines. And we said --
14 we proposed that to any possible funding agency, and
15 it was turned down every single time because coal and
16 photovoltaics don't like each other as terms.

17 Bose took it up and says, we love it. We
18 see why nobody wants to do it. You should go ahead
19 and do it. So that's kind of why it's there.

20 With that, I'd like to thank you very much,
21 and taking questions.

22 (Applause.)

23 MS. GELLICI: Strange bedfellows indeed.
24 So, Nicola, thank you very much. Any questions from
25 the audience?

1 (No response.)

2 MS. GELLICI: Well, join me in thanking
3 Nicola, and I think he'll be around if you have
4 questions afterwards.

5 I will mention and take this opportunity to
6 mention that the National Coal Council at the
7 secretary's request is conducting a report right now
8 on new markets for coal, so coal and a new carbon age.
9 You will all as members of the council be receiving
10 notice of a webcast that we will be hosting on May
11 15th to approve the report. We're in the process of
12 finalizing that, headed up by Randy Atkins, and so
13 please be looking for that, and we encourage you to
14 participate in that webcast.

15 All right. My pleasure to introduce our
16 final speaker of the program for our spring meeting,
17 Peter Reineck. Peter has a broad commercial
18 background in senior management roles with major
19 chemical and environmental service companies in both
20 the UK and Canada. He has been serving as a
21 consultant since 1995, working with technology
22 developers to support, market, and business
23 development. He's joining us today to talk about
24 ITEA's flameless, pressurized oxy-combustion clean-
25 coal technology for commercial use in a large pilot

1 plant. Would you please join me in welcoming Peter.
2 Peter?

3 (Applause.)

4 (Asides.)

5 MR. REINECK: Okay. Well, thank you for the
6 invitation, Janet. I've got a low-vol microphone
7 here. Okay. Oh, man alive. I think we'll stick it
8 there like that. Is that okay?

9 So as a consultant then, ITEA was a client
10 of mine, and now I participate with ITEA, which is an
11 Italian company, in a DOE project to build a large
12 pilot plant to scale up their -- the ITEA flameless,
13 pressurized oxy-combustion technology for commercial
14 use.

15 My co-author in this, by the way, is Massimo
16 Malavasi, and Dr. Malavasi is the developer of the
17 process. So I've got to get myself organized. There
18 we go. So my presentation today provides a brief
19 introduction to the FPO technology and a brief update
20 on the pilot, and then looking at the potential for
21 improving coal-powered economics with this technology,
22 in particular by retrofitting it to existing power
23 plants. Oops, wrong way. Okay.

24 So FPO was developed as a technology to
25 enable complete combustion of brown fuels, including

1 coal, low-ranking and high-ranking, as well as waste,
2 with near-zero emissions and integral CO₂ capture.
3 And when I say complete combustion, we're talking
4 9.9999 percent.

5 Coal is fed in this process as a slurry in
6 water, which are some advantages, and fired with
7 oxygen in an atmosphere of CO₂ and water vapor, and
8 this triatomic molecules basically can -- or
9 irradiated in the combustion chamber and carry the
10 energy from the combustion out of the chamber and into
11 the boiler.

12 The CO₂ and water vapor are coming from
13 recycling 80 percent of the flue gas after it has gone
14 through the boiler. Incombustibles exit this process
15 as a vitrified slag, little granules about 3
16 millimeter diameter. There is no fly ash.

17 Now, the value of the ITEA FPO technology is
18 several points, but I'll just focus on three. The
19 first one is it enables the use of low-ranking coals
20 with up to 40 percent ash and large amounts of water,
21 including alkaline ash, so lignite, for example, and
22 without drying. You're going to slurry them to feed
23 them, so need to dry them.

24 It enables CO₂ capture on economically
25 viable basis, which means, I suppose, affordably, and

1 a good thing about the process is it increases -- or
2 rather it addresses peaking by its fast response. It
3 can go from 5 percent to 100 percent of capacity in
4 less than half an hour.

5 Now, we believe the ability to retrofit is
6 of particular interest today. We'll look at this in
7 more detail shortly. In summary, by improving the
8 economics of coal power with CO₂ capture, FPO
9 technology is really an enabler for the use of coal
10 reserves for a secure and reliable supply of power
11 going forward. And I think we're seeing a lot of
12 interest in it as a result.

13 The development path we're on at the moment
14 is a large pilot for coal power, with CO₂ capture.
15 Sorry, the commercial plant will have CO₂ capture.
16 The pilot captures and releases. The planning project
17 is underway. The plant will scale up from the
18 existing 5-megawatt thermal power plant in Italy,
19 which has been running for 10 years or more, and there
20 is a large body of work based on that plant, which was
21 put together in part with NL, the utility in Italy.

22 Looking at the chevrons at the bottom, we're
23 now moving out of phase one of the so-called pre-FEED
24 study, and hopefully in the middle of the project
25 we'll start a FEED study to build the pilot plans for

1 construction 2021, '22. That should allow the
2 construction of a commercial plant probably starting
3 as early as 2024. At least that's the plan.

4 In summary, if FPO technology can be scaled
5 up as planned with this DOE project, then the
6 technology can potentially enable coal power with CO₂
7 capture at an affordable cost. So here is a bit of an
8 update on the pilot. There are a couple of references
9 there. These projects are moving ahead under the
10 leadership of SWRI, Southwest Research, as prime and
11 PI, the phase one project completed in July and
12 subject to the award. The second phase two project
13 should start in August.

14 Okay. Now, looking at this one, I'm going
15 to try to click through this to highlight some things
16 that are notable about the cycle diagram, and we'll
17 see how well that works. There we go. So for a
18 commercial plant, the key ingredient is an ASU oxygen
19 plant, and that needs to be for good economic
20 something called a gaseous oxygen or GOX plant, which
21 is not yet common, but the technology exists, and it
22 allows oxygen to be separated very much more cheaply
23 than with a tradition cryogenic technology, a liquid
24 oxygen plant, if you like.

25 Coal preparation and slurring, as I said,

1 has some advantages in terms of logistics. You're not
2 moving around fine powders, pulverized coal. You're
3 just granulating the coal, grinding it under water.
4 The boiler is a novelty. It's a once-through steam
5 generator. Now, there is no need because of the flue
6 gas that goes through the boiler -- it all gets
7 recirculated back to the combustion chamber. So you
8 don't have to get all of the heat of it out. As such,
9 the steam generator can be quite efficient.

10 There is a turbo expander operating on
11 the -- effectively the bleed of the flue gas. Around
12 20 percent or a bit less is being removed from the
13 system and going to atmosphere via flue gas
14 desulfurization cleanup. And since that has got a lot
15 of energy in it, not least from expanding from
16 boiling, vaporizing the water, then you can get some
17 energy out of it effectively against turbine.

18 Finally, the CO₂ coming out of the system
19 and ready for compression, liquefaction, no need to
20 purify it. And the water out, which doesn't have a
21 highlight, right at the bottom there, is condensed
22 water from the heat recovery system. So that can be
23 used not only for coal slurring in the front end
24 again, but it can potentially be used for other
25 purposes. With the low-ranking coal, which has got a

1 lot of hydrogen and water in it, then quite probably
2 you're going to have more water produced by this
3 process, clean water, than you use.

4 Uh-oh, what happened here? Yeah. Now, this
5 is showing a plan for a commercial-scale cycle. It
6 would have three modular combusters, which could be up
7 to 500-megawatt thermal feeding one steam turbine.
8 The boiler is part of the combustor loop. And there
9 would be a single heat recovery train, which would
10 process the flue gas and produce CO₂.

11 The modules could be a lot smaller than 500-
12 megawatt thermal. The typical module for waste
13 recovery -- waste treatment at the moment is 15
14 megawatts. The pilot will be 50. You can certainly
15 go to a 100- or 200-megawatt thermal without much
16 difficulty.

17 Now, I want to move on now to look at the --
18 a comparison of the LCOE for three cases. One is
19 the -- the first is the S12A baseline, which is super-
20 critical pulverized coal for -- the PRB coal without
21 carbon capture. That's the basic one. And then the
22 second one is the same thing, case S12B, with post-
23 combustion carbon capture. And the third one is the
24 FPO technology. And if we look at the LCOE comparison
25 there, you'll see that the FPO can give you, according

1 to the ITEA, a projection which is so-called nth of a
2 kind, a LCOE which is 119 percent, 120 percent of the
3 baseline, with carbon capture. So that is quite a
4 modest amount to pay for CO₂ capture.

5 Some notable things looking at the post-
6 combustion case -- the reason that becomes so
7 expensive is that you've got to produce, of course,
8 for that process -- you need a lot of power in, in
9 order to produce power for the post-combustion capture
10 system, but also heat for the reboiler and to get the
11 CO₂ out of the AME.

12 If we look at the efficiency of the FPO
13 system, it's quite high, not least because of heat
14 recovery. You're condensing all the moisture in the
15 flue gas. And, of course, the turbo expander works
16 better with wet coals. As I said, the LCOE is quite
17 affordable. We can go into that in more detail if
18 somebody wants to.

19 Now, looking at a retrofit case, which is
20 the -- in this slide, the first three columns, the
21 blue ones, are what you've just seen. And the right
22 one is a retrofit case, which is also PRB. And it's
23 retrofitting -- and I'll show you in a minute the
24 diagram of how that would be done -- and retrofitting
25 an FPO firing module or loop to replace the boiler in

1 an existing super-critical pulverized coal plant,
2 firing PRB.

3 And you can see there that the LCOE is quite
4 low, not least because the capital cost of doing that
5 is quite modest, and for a 550-megawatt E plant,
6 but -- and also, of course, you're writing off the
7 cost of the existing plant.

8 Now, what -- the plan would be to retain all
9 of the parts of the existing plant except the boiler.
10 The boilers would be replaced by the green unit at the
11 top, which would be an ASU, and a separation unit, and
12 the FPO firing module or loop producing steam, and
13 that would go to the existing turbine, and the CPU for
14 CO₂ compression and liquefaction producing a stream of
15 CO₂.

16 So you could, it's envisioned, build that
17 alongside the existing plant, and then take a shutdown
18 when it's running for perhaps several months, and then
19 connect it up there. How does this look in terms of
20 what you get out of it? There is an extra case on
21 here, which is retrofitting to the first line, is
22 retrofitting to subcritical. There is quite a few
23 subcritical plants firing PRB around, and some are
24 super-critical. And the subcritical plant produces 20
25 percent more CO₂, and that is shown in tons an hour,

1 so it's comparable with the megawatts capacity
2 operating at capacity. And the reason it's producing
3 20 percent more CO₂ is because the turbine is less
4 efficient, as it's a subcritical system. You need
5 higher heat in.

6 Now, I didn't on this slide propose values
7 for powering CO₂ because they're going to vary
8 according to location and mode of operation. We
9 talked about load following. You could possibly, one
10 imagines, get more money, a higher price, for power
11 for a load-following plant, one way or another. For
12 CO₂, the price could vary. I mean, if one were to
13 assume that it were going for sequestration, and you
14 would get, let's say, the tax credit divided out,
15 possibly shared, probably shared, with pipeline
16 operators and so on, you'd get a portion of that.

17 What is quite interesting is that if you
18 compare the revenues from power and CO₂, depending on
19 the numbers, they are typically of the same order of
20 magnitude. So this is -- the suggestion being, of
21 course, here that CO₂ could -- selling CO₂, certainly
22 for EOR, where you'd get a price for it and less
23 transportation costs, et cetera, plus a share of the
24 45Q tax credit, could be very significant indeed
25 versus the price of power.

1 So it does suggest there is a potential new
2 model here for power generation and for a plant that
3 can produce CO₂. Certainly it isn't a nuisance
4 product.

5 So finally, and then I'll remove myself from
6 your path to the lunch table, we'll summarize by
7 saying that FPO, in our belief, will provide the most
8 economic cost of electricity with carbon capture, and
9 it will be the best choice for coal going forward in a
10 carbon-constrained world. Retrofitting looks a pretty
11 good option, and the technology supports small modular
12 plants. And FPO can also support the growth of coal
13 export markets as this technology could be adopted in
14 those export markets to capture CO₂.

15 So that's all I have to say. Thanks for
16 your attention, and let me know if there are any
17 questions.

18 (Applause.)

19 MS. GELLICI: Wait for the mike, please.

20 (Pause.)

21 MS. GELLICI: It's on the --

22 AUDIENCE MEMBER: Yeah. Alex Fasbender
23 (phonetic), Ecovia. So you mentioned efficiency and
24 recovering the water, the latent heat vaporization of
25 the water. Do you have a temperature, a range, that

1 you focus on recovering that to get it back into the
2 process?

3 MR. REINECK: The reactor itself is
4 operating at about 400 -- 1,400 degrees C. The loop
5 after quenching operate around 700 C, 650-700. So the
6 hot gas coming out of the turbo expander going to the
7 heat recovery section, has got to be 300-400, in that
8 kind of an area. And it has dropped down in stages.
9 The flue gas desulfurization is at temperature and
10 pressure. So it's running about 1.5 atmospheres, and
11 120 or something C.

12 AUDIENCE MEMBER: And your reactor itself is
13 operating at what pressure?

14 MR. REINECK: About 11 bar.

15 AUDIENCE MEMBER: 11 bar, okay. Okay, thank
16 you.

17 MR. REINECK: You're welcome.

18 MS. GELLICI: Any other questions for Peter?

19 (No response.)

20 MS. GELLICI: Please join me in thanking
21 Peter for this presentation.

22 (Applause.)

23 MR. REINECK: Thank you.

24 MS. GELLICI: Thank you, Peter. Sorry for
25 all the challenges with the microphone here. Not sure

1 what is going on.

2 So I was struck by the presentations that
3 we've just heard about the variety of ways that we as
4 an industry continue to work towards using coal in the
5 future, so using some of the waste coal in a more
6 efficient way, using coal in new ways outside of power
7 generation, and using coal to retrofit existing power
8 plants so that they're more efficient and effective
9 and environmentally sound.

10 So we continue to work, and I think that's
11 very obvious for our program today and from the
12 secretary's remarks this morning that we have a future
13 in this industry, and we are working hard on a variety
14 of fronts to get things done. I was also struck by
15 the fact that we've got a lot of international
16 activity going on, that DOE's reach is obviously
17 extending beyond U.S. borders, and this obviously is a
18 universal technology challenge for us, and having more
19 folks involved internationally I think benefits us
20 all.

21 So wanted to thank our panel once again.
22 Please join me in thanking these folks for their great
23 presentations.

24 (Applause.)

25 MS. GELLICI: Before I turn the program back

1 over to Steve, I just wanted to acknowledge and thank
2 all of our sponsors. They're listed in your program,
3 but in particular I wanted to thank Randy Atkins with
4 Ramaco Coal for sponsoring our dinner last night, and
5 for his event sponsorship.

6 Steve Krinsky with Jupiter Oxygen, thank you
7 very much for your event sponsorship. And, Scott Teal
8 with Southern Company, thank you for your event
9 sponsorship as well. Greatly appreciate all of our
10 sponsors and their contributions.

11 We do have evaluations that we've left at
12 your tests if you could complete those. We will also
13 be sending those out electronically so you can respond
14 that way. For those of you who are joining us for
15 lunch, we will be meeting back upstairs on the lobby
16 level at the Maryland ABC rooms, where we were for
17 dinner last night.

18 Upcoming meetings. I mentioned the May 15th
19 web cast. Please do put that on your calendars. I'll
20 get a notice out next week to you on that. And then
21 our fall meeting will be hosted back here at this
22 Marriott property September 11th and 12th.

23 So as I turn the program over to Steve, I'd
24 like to thank you again for sharing your birthday with
25 us, and I hope you have a better rest of the day, and

1 that you're off to a good start. So thank you again
2 for being here, Steve.

3 MR. WINBERG: I don't know that it could get
4 any better than this.

5 (Laughter.)

6 MR. WINBERG: So, ladies and gentlemen, a
7 couple of days ago 4,500 Amazon employees wrote Jeff
8 Bezos a letter asking him to fix climate change. I'm
9 very concerned about what those 4,500 employees are
10 going to do when they find out the boss is selling
11 coal.

12 (Laughter.)

13 MR. WINBERG: Think about it. So it is now
14 time for our public comment period. As stated at the
15 beginning of the meeting, the Department of Energy
16 cares about your viewpoints and wants to hear from
17 you. In the *Federal Register* announcement we posted
18 several weeks ago, we offered any party the
19 opportunity to provide a written statement that could
20 be read at this event. However, we did not receive
21 any written statements.

22 However, we've also set aside time at this
23 meeting for any individual who wishes to speak
24 directly at this meeting. We have a sign-in sheet,
25 but no one signed up for the sign-in sheet. However,

1 anyone wishing to speak can be heard by raising your
2 hand, and we will have somebody with a microphone come
3 over to you.

4 If there are many individuals that want to
5 speak, we may have to close the public comment period
6 and ask the remaining folks to submit their comments
7 in writing, and then those comments will then be
8 included in the meeting minutes as an addendum.

9 So do we have anyone in the audience that
10 wants to speak?

11 (No response.)

12 MR. WINBERG: All right. Seeing none, it is
13 now time to conclude our meeting. I want to thank
14 everyone for making this assembly a priority and for
15 traveling a long distance. I know some of you crossed
16 the country to be here with us today and to
17 participate in this meeting. Your cooperation and
18 your input have been invaluable in helping to make
19 this a very successful meeting.

20 For those of you traveling to the Midwest,
21 please be careful. If your flight gets canceled, give
22 me a call. I'll ask my wife to water down the soup a
23 little bit, and you're invited over for dinner. But
24 hopefully everyone will get out this evening so that
25 you can enjoy a very nice weekend with your families.

1 We look forward to seeing you in September,
2 and if there is no business, this meeting is now
3 officially adjourned. Thank you.

4 (Applause.)

5 (Whereupon, at 11:55 a.m., the meeting in
6 the above-entitled matter adjourned.)

7 //

8 //

9 //

10 //

11 //

12 //

13 //

14 //

15 //

16 //

17 //

18 //

19 //

20 //

21 //

22 //

23 //

24 //


25 //

REPORTER'S CERTIFICATE

DOCKET NO.: N/A
CASE TITLE: National Coal Council Meeting
HEARING DATE: April 12, 2019
LOCATION: Washington, D.C.

I hereby certify that the proceedings and evidence are contained fully and accurately on the tapes and notes reported by me at the hearing in the above case before the United States Department of Energy, Office of Energy Efficiency & Renewable Energy.

Date: April 12, 2019



David Jones
Official Reporter
Heritage Reporting Corporation
Suite 206
1220 L Street, N.W.
Washington, D.C. 20005-4018